

VANCOUVER ISLAND

PROCEEDINGS

Volume 1

STRAIT OF JUAN DE FUCA

**Second Session
Seattle, Washington
Sept. 6-7 & Oct. 6, 1967**

PUGET SOUND

SEATTLE

CONFERENCE

Pollution of the Navigable Waters of Puget Sound, the Strait of Juan de Fuca and Their Tributaries and Estuaries.

QH
91.8
F31
v.1



F3
V.1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C O N F E R E N C E
ON THE
MATTER OF POLLUTION OF THE NAVIGABLE WATERS
OF PUGET SOUND, THE STRAIT OF JUAN DE FUCA
AND THEIR TRIBUTARIES AND ESTUARIES (WASHINGTON)

held in

Seattle, Washington

September 6-7, 1967

and

October 6, 1967

TRANSCRIPT OF PROCEEDINGS



Federal Water Pollution Control Administration
U. S. Department of the Interior
Washington, D. C.



C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

September 8, 1967

OPENING STATEMENT

by Murray Stein 24

FEDERAL PRESENTATION:

Richard F. Poston 34

Earl N. Kari 34
and 106

John Vlastelicia 39
and 82

Marvin Allum 53

John Glude 113

Fred Overly 125

William J. Beck 129

Norman J. MacDonald 131

Department of Commerce and Economic Development.... 423

STATE PRESENTATION:

Roy M. Harris 134

James C. Plunter 145

John Douglas 146

J. E. Lasater 149

Robert O. Sylvester (Personal Statement)..... 158

James E. Phillips 164

Philip H. Parker 170

CONTENTS (CONTINUED)

1		
2		<u>PAGE</u>
3	PULP & PAPER INDUSTRY PRESENTATION:	
4	Donald J. Benson	177
5	Joseph McCarthy	193
6	Eugene P. Haydu	205
7	Thomas Saunders English	217
8		
9	<u>September 7, 1967</u>	
10	PULP & PAPER INDUSTRY PRESENTATION (continued):	
11	Charles S. Yentsch	227
12	Dr. Ernest O. Salo	244
13	Dr. Max Katz	258
14	Murl Miller	327
15	Robert I. Thieme	337
16	J. O. Julson	356
17	John H. Dunkak	360
18	E. J. Cavanaugh	368
19	Roger Tollefson	376
20	Dr. Herman Amberg	393
21		
22	SHELLFISH INDUSTRY PRESENTATION:	
23	Edward J. Gruble	281
24	Bob O. Bower	296
25	R. N. Steele	312
	R. H. Bailey	314

CONTENTS (CONTINUED)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

INDIVIDUAL STATEMENTS:

Northwest Fisheries Association	397
Tacoma Sportsmen's Club	399
Lake Whatcom Improvement Committee	413

October 6, 1967

OPENING STATEMENT

by Murray Stein	430
-----------------------	-----

SUPPLEMENTAL PRESENTATIONS:

Fibreboard Corporation	431
Weyerhaeuser Company	444
Halibut Fishermen's Wives' Association.....	451
Association of Western Pulp and Paper Workers	452
State of Washington Department of Fisheries	459
Congress of American Fishermen	584
League of Women Voters, Bellingham, Washington ...	586

JOINT STATEMENT OF THE FEDERAL AND STATE CONFEREES:

by Mr. Harris	589
---------------------	-----

SUMMARY

by Mr. Stein	598
--------------------	-----

- - -

INDEX TO EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

1 - Joint Federal-State Study, "Pollutional Effects of Pulp and Paper Mill Wastes in Puget Sound," dated March 1967 36

2 - Slides presented by Marvin Allum 57

3 - Mount Vernon and Port Angeles, Washington, Water Quality Standard hearings 188

4 - Investigations of Pearl-Benson method, published in TAPPI magazine 194

5 - Two reports prepared by Dr. Max Katz for the Northwest Pulp and Paper Association 264

6 - Movie shown by Edward J. Gruble 281

7 - Report entitled "Port Angeles Water Quality Monitoring Program," by Stein and Denison, introduced by Roger Tollefson 378

8 - Petitions presented by Ellis Ogilvie, citizen 411

9 - Statement and appended exhibits presented by Lake Whatcom Improvement Committee 422a

- - -

CONTENTS (CONTINUED)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

INSERTS:

Summary of Marvin Allum Statement 53a

Chart of Puget Sound - General Study Area 85a

Table - Index of Average Covered Employment
in Clallam County 170a

Paper - "The Oyster Producing Potential of
Puget Sound" by Ronald E. Westley 174

Slides presented by Dr. Max Katz 280a

Aerial photographs of the North Sound area 315a
and 315b

Chart of cost-benefit relationship in the
Delaware River complex 341a

Statement of John B. Gray, offered by
Roger Tollefson 378

Statement of Storrs Waterman, offered by
Roger Tollefson 378i

Progress Report No. 1 of the Technical Coordinating
Committee considering Pollution of Waters of Puget
Sound, Strait of Juan de Fuca, and their Tribu-
taries and Estuaries, presented by Tacoma
Sportsmen's Club 401a

Article - "Polluters Hidden Victory" - in Argus
magazine March 1967, presented by Tacoma
Sportsmen's Club 407a
and 407b

Full statement by Lake Whatcom Improvement Comm.... 422b
to 422n

Fibreboard Corporation Exhibit A 435
" " " B 438
" " " C 438
" " " D 439

CONTENTS (CONTINUED)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INSERTS (continued):	<u>PAGE</u>
Weyerhaeuser Company Attachment	447
State of Washington Department of Fisheries	
Exhibit A	459
Exhibit B	465
Exhibit C	467
Exhibit D	477
Exhibit E	513
Exhibit F	551
Exhibit G	584a
Exhibit H	584k

- - - -

C O N F E R E N C E

The Conference in the Matter of Pollution of the Navigable Waters of Puget Sound, the Strait of Juan de Fuca, and their Tributaries and Estuaries within the State of Washington, convened at 9:30 a.m., Wednesday, September 6, 1967, at The Olympic Hotel, 4th and Seneca Streets, Seattle, Washington.

CONFEREES:

Presiding:

Murray Stein
Assistant Commissioner for Enforcement
Federal Water Pollution Control Administration
Department of the Interior
Washington, D. C.

State Conferee:

Roy M. Harris
Director
State Water Pollution Control Commission
Olympia, Washington

Federal Conferee:

Richard F. Poston
Regional Director
Pacific Northwest Region
Federal Water Pollution Control Administration
Portland, Oregon

1 PARTICIPANTS:

2 FEDERAL PRESENTATION

3 Marvin O. Allum
4 Water Quality Standards Coordinator
5 Pacific Northwest Region
6 Federal Water Pollution Control Administration
7 Portland, Oregon

8 Earl N. Kari
9 Acting Director, Technical Programs
10 Pacific Northwest Region
11 Federal Water Pollution Control Administration
12 Portland, Oregon

13 John Vlastelicia
14 Acting Chief, Technical Operations Branch
15 Pacific Northwest Region
16 Federal Water Pollution Control Administration
17 Portland, Oregon

18 John B. Glude
19 Deputy Regional Director
20 Pacific Northwest Region
21 U. S. Bureau of Commercial Fisheries
22 Seattle, Washington

23 William J. Beck
24 Chief, Shellfish Sanitation Laboratory
25 Public Health Service
Gig Harbor, Washington

Norman J. MacDonald
Chief, Water Control
Corps of Engineers, Seattle District
Seattle, Washington

Fred J. Overly
Regional Director, Pacific Northwest Region
Bureau of outdoor Recreation
Seattle, Washington

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 PARTICIPANTS (continued):

2 STATE PRESENTATION

3 John H. Douglas
4 Fisheries Biologist
5 Washington Game Department
6 Olympia, Washington

7 J. E. Lasater
8 Assistant Director of Research
9 Washington Department of Fisheries
10 Olympia, Washington

11 Philip H. Parker
12 Executive Secretary
13 Pacific Coast Oyster Growers Association
14 Olympia, Washington

15 James E. Phillips
16 President
17 Port Angeles Chamber of Commerce
18 Port Angeles, Washington

19 James C. Plunter
20 Head, Sanitary Engineering Section
21 Washington State Department of Health
22 Olympia, Washington

23 PULP & PAPER INDUSTRY PRESENTATION

24 Herman Amberg
25 Manager, Manufacturing Services
Crown Zellerbach Corporation
Camas, Washington

Donald J. Benson
Executive Secretary
Northwest Pulp & Paper Association
Seattle, Washington

E. J. Cavanaugh
Plant Manager
Fibreboard Paper Products Corporation
Port Angeles, Washington

John Dunkak
General Manager, Puget Sound Division
Georgia-Pacific Corporation
Bellingham, Washington

1 PARTICIPANTS (continued):

2 PULP & PAPER INDUSTRY PRESENTATION (continued)

3 Thomas Saunders English
4 Associate Professor, Department of Oceanography
5 University of Washington
6 Everett Mills Technical Council
7 Everett, Washington

8 Eugene P. Haydu
9 Biologist, Pulp Research Department
10 Weyerhaeuser Company
11 Kalama, Washington

12 J. O. Julson
13 Director, Air Water Resources
14 Weyerhaeuser Company
15 Tacoma, Washington

16 Max Katz
17 Research Associate Professor
18 Department of Fisheries
19 University of Washington
20 Seattle, Washington

21 Joseph L. McCarthy
22 Professor, Pulp Mills Research
23 University of Washington
24 Seattle, Washington

25 A. Murl Miller
Senior Process Engineer
Scott Paper Company
Everett, Washington

Ernest O. Salo
Associate Professor, College of Fisheries
Fisheries Research Institute
University of Washington
Seattle, Washington

Robert I. Thieme
Vice-President, General Manager
West Coast Division
Scott Paper Company
Everett, Washington

1 PARTICIPANTS (continued):

2 PULP & PAPER INDUSTRY PRESENTATION (continued)

3 Roger Tollefson
4 Research Supervisor
5 Olympia Research Division
6 Rayonier Incorporated
7 Shelton, Washington

8 Charles S. Yentsch
9 Biological Oceanographer
10 Research Associate
11 Woods Hole Oceanographic Institution
12 Woods Hole, Massachusetts

13 SHELLFISH INDUSTRY PRESENTATION

14 R. H. Bailey
15 Managing Director
16 Citizens for Clean Waters
17 Seattle, Washington

18 Bob O. Bower
19 President
20 Pacific Coast Oyster Growers Association
21 Olympia, Washington

22 Edward J. Gruble
23 President
24 Oyster Institute of North America
25 Seattle, Washington

R. N. Steele
Owner
Rock Point Oyster Company
Blanchard, Washington

26 INDIVIDUAL PARTICIPANTS

27 William J. Dittrich
28 Lake Whatcom Improvement Committee
29 Bellingham, Washington

30 Dr. B. J. Gilshannon
31 Chairman, Executive Committee
32 Lake Whatcom Improvement Committee
33 Bellingham, Washington

34

1 PARTICIPANTS (continued):

2 INDIVIDUAL PARTICIPANTS (continued)

3 Robert O. Sylvester
4 Professor of Sanitary Engineering
5 University of Washington
6 Department of Civil Engineering
7 Seattle, Washington

8 - - - -

9 OTHERS IN ATTENDANCE:

10 Fred Aldridge
11 Director of Environmental Health
12 Seattle King County Department of Public Health
13 Seattle, Washington

14 G. C. Anderson
15 Associate Professor, Oceanography
16 University of Washington
17 Seattle, Washington

18 E. W. Asselstine
19 Senior Engineer
20 State Water Pollution Control Commission
21 Olympia, Washington

22 Roy A. Banner
23 Assistant Chief
24 Fish Management Director
25 Department of Game
Olympia, Washington

A. F. Bartsch
Assistant Chief, Eutrophication Research
Pacific Northwest Water Laboratory
Federal Water Pollution Control Administration
Corvallis, Oregon

D. J. Baumgartner
Acting Chief, Coastal Pollution Research
Pacific Northwest Water Laboratory
Federal Water Pollution Control Administration
Corvallis, Oregon

Richard M. Beebe
Manager, Industrial Division
Washington State Department of Commerce
Olympia, Washington

1 OTHERS IN ATTENDANCE (continued):

2 James P. Behlke
3 Chief, Division of Engineering
4 Water Pollution Control Commission
5 Olympia, Washington

6 Harold Berkson
7 Executive Secretary, NTAC
8 Federal Water Pollution Control Administration
9 Washington, D. C.

10 Donald E. Bevan
11 Associate Dean
12 College of Fisheries, University of Washington
13 Seattle, Washington

14 Jeffrey Birch
15 Programmer
16 KO Incorporated
17 Seattle, Washington

18 Wilson F. Bow
19 Supervising Engineer
20 Washington State Health
21 Seattle, Washington

22 Betty Branostrom
23 Delegate
24 Purse Seine Wives
25 Mukilteo, Washington

Ed Brezina
Vice Chairman, Pollution Control Committee
Tacoma Sportsmen's Club
Tacoma, Washington

P. R. Burnaman
Assistant to General Manager
Scott Paper Company
Everett, Washington

Edward Button
Technical Department Superintendent
Rayonier Incorporated
Hoquiam, Washington

Dale A. Carlson
Professor of Civil Engineering
University of Washington
Seattle, Washington

1 OTHERS IN ATTENDANCE (continued):

2 Jo Ann Christensen
3 Federal Water Pollution Control Administration
4 Portland, Oregon

5 Dwayne J. Clark
6 Technical Director
7 Simpson Lee Paper Company
8 Everett, Washington

9 Thomas O. Clemetson
10 Senior Chemist
11 Water Pollution Control Commission
12 Olympia, Washington

13 Larry Coffman
14 Reporter
15 Seattle Times
16 Seattle, Washington

17 James C. Cooper
18 Chief Chemist
19 West Tacoma Newsprint
20 Steilacoom, Washington

21 John Denison
22 Group Leader, Environment Control Section
23 Rayonier Incorporated
24 Hoodsport, Washington

25 William Devine
26 Director, Production Reactors
27 U. S. Atomic Energy Commission
28 Richland, Washington

29 L. B. Dezarn, LTC
30 Deputy District Engineer
31 U. S. Army Engineer District, Seattle
32 Seattle, Washington

33 Charles C. Dills
34 Environmental Engineer
35 Leo A. Daly Company
36 Seattle, Washington

37 Emerson Elder
38 Public Relations Manager
39 Weyerhaeuser Company
40 Everett, Washington

1 OTHERS IN ATTENDANCE (continued):

2 Joe Entrikin
3 Manager, Whatcom County Development Council
4 Bellingham, Washington

5 J. Allan Evans
6 Assistant Secretary
7 Georgia-Pacific Corporation
8 Bellingham, Washington

9 Glen Farris
10 Superintendent of Water Quality
11 Municipality of Metropolitan Seattle
12 Seattle, Washington

13 John Girard
14 Ad. Sanitarian
15 Washington State Health Department
16 Olympia, Washington

17 Rod Gjerde
18 Public Affairs Manager
19 Weyerhaeuser Company
20 Tacoma, Washington

21 Albert C. Gribos
22 Technical Director
23 Weyerhaeuser Company
24 Everett Sulphite Mill
25 Everett, Washington

Matthew Gould
Director, Environmental Control
Georgia-Pacific Corporation
Portland, Oregon

Donna Granberg
President, Purse Seine Wives
Edmonds, Washington

Keith Grim
Lawyer
Georgia-Pacific Corporation
Seattle, Washington

Glen F. Hallman
Director, Environmental Health
Bellingham-Whatcom County District Health Department
Bellingham, Washington

1 OTHERS IN ATTENDANCE (continued):

2 George H. Hansen
3 Chief, Technical Services Division
4 Water Pollution Control Commission
5 Olympia, Washington

6 Jerry L. Harper
7 Water Pollution Control Commission
8 Olympia, Washington

9 Dwight S. Hawley
10 State Representative
11 CHM-Fisheries Interim Committee
12 Seattle, Washington

13 Gilbert L. Heath
14 Assistant Plant Manager
15 Scott Paper Company
16 Everett, Washington

17 Frank Hodgson
18 President
19 KO Incorporated
20 Seattle, Washington

21 Lewis R. Holcomb
22 Administrative Assistant
23 Water Pollution Control Commission
24 Olympia, Washington

25 Gary W. Isaac
Renton Division Superintendent
Municipality of Metropolitan Seattle
Seattle, Washington

Emil C. Jensen
Deputy Director for Environment
Washington State Health Department
Olympia, Washington

Eugene Jensen
Office of Estuarine Study
Federal Water Pollution Control Administration
Washington, D. C.

Mrs. Eugene Jensen
private citizen
Tacoma, Washington

1 OTHERS IN ATTENDANCE (continued):

2 Bryan Johnson
3 Federal Water Pollution Control Administration
Portland, Oregon

4 John F. Ketter
5 Public Affairs Representative
6 Weyerhaeuser Company
Federal Way, Washington

7 F. W. Kittrell
8 Acting Chief, TA&I
Federal Water Pollution Control Administration
Cincinnati, Ohio

9 L. B. Laird
10 District Chief
U. S. Geological Survey
Tacoma, Washington

11 Nicholas Lardieri
12 Manager, Air & Water Resources
13 Scott Paper Company
Philadelphia, Pennsylvania

14 Robert E. Leaver
15 Planning Engineer
State Health Department
Seattle, Washington

16 E. H. Lemier
17 Senior Biologist
18 Washington Department of Fisheries
Olympia, Washington

19 Richard C. Lofgren
20 Executive Engineer
R. W. Beck and Associates
Seattle, Washington

21 Oliver Malm
22 Lawyer
23 Weyerhaeuser Company
Tacoma, Washington

24 Brian W. Mar
25 Resident Associate Professor
University of Washington
Seattle, Washington

1 OTHERS IN ATTENDANCE (continued):

2 Stephen G. Martin
3 Resident Biologist
4 Rayonier Incorporated, Olympia Research Division
5 Shelton, Washington

6 Robert K. McCormick
7 Regional Engineer
8 Water Pollution Control Commission
9 Olympia, Washington

10 Ray McMackin
11 Radio News
12 KIRO

13 Robert L. McNeil
14 U. S. Bureau of Outdoor Recreation
15 Seattle, Washington

16 John R. Molsness
17 District Engineer
18 State Health Department
19 Seattle, Washington

20 David L. Mosher
21 Technical Superintendent
22 Fibreboard Paper Products
23 Port Angeles, Washington

24 Mrs. Peter Mosness
25 Trustee, Puget Sound Gillnetters
Association Auxiliary
Seattle, Washington

Mrs. Peter Mosness
Corresponding Secretary
National Fishermen & Wives, Incorporated
Seattle, Washington

D. A. Nadig
Mill Manager, Port Angeles Division
Crown Zellerbach Corporation
Port Angeles, Washington

Leo E. Nagan
District Manager
Nalco Chemical Company
Mercer Island, Washington

1 OTHERS IN ATTENDANCE (continued):

2 Alfred T. Neale
3 Assistant Director
4 Water Pollution Control Commission
5 Olympia, Washington

6 Anthony Nouotny
7 Fisheries Research Biologist
8 U. S. Bureau of Commercial Fisheries
9 Seattle, Washington

10 Ellis H. Ogilvie
11 Seattle, Washington

12 Erling J. Ordal
13 Professor of Microbiology
14 University of Washington
15 Seattle, Washington

16 DeForest Perkins
17 Attorney
18 Rayonier Incorporated
19 Seattle, Washington

20 Rheta Piere
21 Federal Water Pollution Control Administration
22 Washington, D. C.

23 Roland E. Pine
24 Section Head, Surveillance & Investigation
25 Water Pollution Control Commission
Olympia, Washington

Charles R. Pollock
Northwest Fisheries
Seattle, Washington

T. Rajda
Federal Water Pollution Control Administration
Washington, D. C.

Harold Randles
Technical Superintendent
St. Regis Paper Company
Tacoma, Washington

Francis J. Reyes
Federal Water Pollution Control Administration
Portland, Oregon

1 OTHERS IN ATTENDANCE (continued):

2 W. Ronald Richardson
3 Resident Manager
4 Crown Zellerbach Corporation
5 Seattle, Washington

6 Teri LaRocque
7 Clinton, Washington

8 Charles B. Roe
9 Assistant Attorney General
10 State of Washington
11 Olympia, Washington

12 Otto H. Sangder
13 Effluent Control Supervisor
14 Rayonier Incorporated, Grays Harbor Division
15 Hoquiam, Washington

16 Albert J. Scholz
17 Biologist
18 Washington Department of Fisheries
19 Quilcene, Washington

20 H. V. Schubert
21 Fuel Engineer
22 Bethlehem Steel Corporation
23 Seattle, Washington

24 Ralph H. Scott
25 Acting Chief, Ind. Waste Treatment
Federal Water Pollution Control Administration
Northwest Water Laboratory
Corvallis, Oregon

Herbert E. Simison
Federal Water Pollution Control Administration
Portland, Oregon

Elizabeth Smith
Everett, Washington

LeRoy E. Smith
Technical Supervisor
Weyerhaeuser Company
Everett, Washington

1 OTHERS IN ATTENDANCE (continued):

2 George Snyder
3 Fisheries Research Biologist
4 B.C.F.
5 Seattle, Washington

6 Robert William Steele
7 President
8 Seattle Marine Laboratories
9 Seattle, Washington

10 Claude M. Stitt
11 Manager, Water Resources
12 Fibreboard Corporation
13 Antioch, California

14 Robert L. Stockman
15 Executive Director
16 Washington State Air Pollution Control Board
17 Seattle, Washington

18 John R. Swanson
19 Area Representative
20 Association of Western Pulp and Paper Workers
21 Portland, Oregon

22 Paul H. Symbol
23 Assistant Public Affairs Officer
24 Hill, Ingman, Chase & Company,
25 Consulting Engineers
Seattle, Washington

Marvin Tarr
Chemist
State Department of Fisheries
Brinnon, Washington

Bruce H. Taylor
Oceanographer
KO Incorporated
Seattle, Washington

Michael W. Tiernan
Health Physicist
United States Atomic Energy Commission
Richland, Washington

1 OTHERS IN ATTENDANCE (continued):

2 Georgette Valle
3 Seattle, Washington

4 Paul Vergets
5 Attorney
6 Crown Zellerbach Corporation
7 Portland, Oregon

8 Richard A. Wagner
9 Federal Water Pollution Control Administration
10 Portland, Oregon

11 R. E. Westley
12 Biologist
13 Washington Department of Fish
14 Shellfish Laboratory
15 Brinnon, Washington

16 Cecil M. Whitmore
17 Water Quality Analyst
18 Municipality of Metropolitan Seattle
19 Seattle, Washington

20 L. M. Whitmore, Jr.
21 Engineer
22 Puget Sound Air Pollution Agency
23 Mukilteo, Washington

24 Charles E. Woelke
25 Biologist
University of Washington
Seattle, Washington

Grant A. Woolley
Biologist
Bureau of Sport Fisheries & Wildlife
Portland, Oregon

Dick Young
Reporter
The Everett Herald
Everett, Washington

1 Opening Statement - Mr. Stein

2
3 P R O C E E D I N G S

4
5 OPENING STATEMENT

6 BY

7 MR. MURRAY STEIN

8
9 CHAIRMAN STEIN: The Conference is open,

10 This session of the Conference in the matter
11 of pollution of the navigable waters of the Puget Sound,
12 the Strait of Juan de Fuca, and their tributaries and
13 estuaries within the State of Washington is being held
14 under the provisions of Section 10 of the Federal Water
15 Pollution Control Act, as amended. The Secretary of the
16 Interior is authorized to call a Conference of this type
17 when requested to do so by the Governor of a State. The
18 Governor of Washington, Hon. Albert D. Rosellini, requested
19 a Conference on November 22, 1961, and the first session
20 was held January 16 and 17, 1962.

21 The purpose of the Conference is to bring
22 together representatives of the State Water Pollution
23 Control Agency, representatives of the United States Depart-
24 ment of the Interior, and other interested parties, to
25 review the existing situation, the progress which has been

1 made, to lay a basis for future action by all parties
2 concerned, and to give the State, localities and indus-
3 tries an opportunity to take any indicated remedial
4 action under State and local law.

5 The Conference technique is rather an old
6 one. It is used by many State agencies in the normal
7 conduct of their business in the field of water pollution
8 control. And I have known the operations of the State of
9 Washington for many years. I know Roy Harris and his
10 predecessors have used the Conference technique very
11 effectively themselves in the past.

12 The Conference system was proposed by the
13 United States Supreme Court as long ago as 1921, in the
14 famous case of New York against New Jersey, involving
15 interstate pollution. I would like to quote briefly from
16 this opinion. This is the court speaking.

17 "We cannot withhold the suggestion, in-
18 spired by the consideration of this case, that the grave
19 problem of sewage disposal by the large and growing popu-
20 lation living on the shores of New York Bay is one more
21 readily to be most wisely solved by cooperative study
22 and by conference and by mutual concession on the part of
23 representatives of the States so vitally interested in it
24 than by proceedings in any court however constituted."

25 I think our situation in Puget Sound

1 probably indicates how prophetic that court was.
2 We have had, not involving the Federal Government for-
3 tunately, court cases, and I don't know that that solved
4 the problem. We do have a cooperative study program
5 which is nearing completion and has been completed now.
6 I hope this will be the fruitful way of getting at the
7 problem, as the Supreme Court saw as far back as more
8 than 45 years ago.

9 We strongly support the conference tech-
10 nique and we measure our success by the problems which
11 are solved at the conference table rather than in court.

12 As specified in Section 10 of the Federal
13 Water Pollution Control Act, the official water pollution
14 control agency of Washington has been notified of this
15 Conference. Washington is being represented by Mr. Roy
16 Harris, of the Washington State Pollution Control Com-
17 mission.

18 The Federal Conferee is Mr. Richard
19 Poston, of the Pacific Northwest Region of the Federal
20 Water Pollution Control Administration, United States
21 Department of the Interior.

22 My name is Murray Stein. I am from Head-
23 quarters of the Federal Water Pollution Control Adminis-
24 tration in Washington, D.C., and the representative of
25 Secretary Udall.

1 The parties to this Conference are the
2 representatives of the official State water pollution
3 control agency and the United States Department of the
4 Interior. Participation in the Conference will be open
5 to representatives and invitees of these agencies and
6 such persons as inform me that they wish to present state-
7 ments. However, only the representatives of the Washington
8 State Pollution Control Commission and the United States
9 Department of the Interior constitute the Conferees.

10 I think in this case, with the amicable
11 relations that we have had with the State of Washington,
12 that anyone who believes he should make a statement--
13 other than representatives of Federal agencies, that is--
14 industries, citizens, representatives of groups in the
15 State of Washington, should get in touch with Mr. Harris
16 at the first recess, and I am sure he will arrange for
17 his participation in the Conference.

18 Both the State and Federal governments
19 have responsibilities in dealing with water pollution
20 control problems. The Federal Water Pollution Control
21 Act declares that the States have primary rights and
22 responsibilities for taking action to abate and control
23 pollution. Consistent with this, we are charged by law
24 to encourage the States in these activities.

25 At the same time, the Secretary of the

1 Interior is charged by law with specific responsibilities
2 in the field of water pollution control in connection with
3 pollution of interstate and navigable waters. The Federal
4 Water Pollution Control Act provides that pollution of
5 interstate or navigable waters, whether the matter
6 causing or contributing to the pollution is discharged
7 directly into such waters or reaches such waters after
8 discharge into a tributary, which endangers the health
9 or welfare of any person shall be subject to abatement.

10 At the first session of this Conference
11 held January 16 and 17, 1962, the Conferees agreed, among
12 other things, that the State of Washington and the Federal
13 water pollution control authorities would develop a joint
14 program to carry out investigations and studies in the
15 Conference area. As a result, the Washington State
16 Enforcement Project was established to carry out the
17 necessary studies. The joint Federal-State studies were
18 carried out over a four-year period, and the project has
19 prepared a comprehensive report of their findings entitled
20 "Pollutional Effects of Pulp and Paper Mill Wastes in
21 Puget Sound". This report has been submitted to the
22 Conferees. This Conference has been reconvened for the
23 purpose of considering a program of remedial action and
24 a time schedule for pollution abatement in the Puget
25 Sound area if such should be appropriate after we have

1 heard all the comments from other interested parties
2 on the investigator's report.

3 As far as pollution control is concerned,
4 we might point out that the Puget Sound area has now
5 undergone as intensive a study as almost any body of
6 water in the country. We have had an opportunity to
7 think about the issues for many years and investigate
8 all the avenues of approach very thoroughly. I do think
9 generally in the field of water pollution control,
10 particularly concerning the type of wastes with which we
11 are dealing here and the water resource available, that
12 all parties concerned are very sophisticated in this
13 field. As representatives of the Federal Government,
14 the State, the industries involved including the pulp
15 and paper industry, the shellfish growers, the fishing
16 industry, the citizens groups, we have all had an oppor-
17 tunity to think about the problem, with its attendant
18 implications, and should have the issues relatively
19 narrowed.

20 I also think we must look for areas of
21 agreement. I am pleased to see so many old friends
22 in the audience. Since through thick and thin we
23 have been old friends, I am sure we will find those
24 areas of agreement and remain old friends. The fact that
25 there are so many familiar faces out there indicates

1 that we have gone over these problems over and over and
2 over again, and hopefully this is the forum where we
3 should be able to achieve a large measure of understanding
4 among all the parties.

5 Now a word about the procedures governing
6 the conduct of the Conference. The Conferees will be
7 called upon to make statements. The Conferees in addition
8 may call upon participants they have invited to the Con-
9 ference to make statements. In addition, we will call
10 on other interested individuals who wish to present
11 statements. At the conclusion of each statement the
12 Conferees will be given an opportunity to comment or ask
13 questions and I may ask a question or two. This procedure
14 has proven effective in the past in reaching equitable
15 solutions.

16 At the end of all the statements, we will
17 have a discussion among the Conferees and try to arrive
18 at a basis of agreement on the facts of the situation.
19 The Conferees, in fact, if it is appropriate, may go into
20 executive session. Then we will attempt to summarize the
21 Conference orally, giving the Conferees, of course, the
22 right to amend or to modify the summary.

23 Under the Federal law, the Secretary of the
24 Interior is required at the conclusion of the Conference
25 to prepare a summary of it, which will be sent to the

1 Conferees. The Secretary is also required to make recom-
2 mendations for remedial action if such recommendations
3 are indicated.

4 A record and verbatim transcript of the
5 Conference is being made by Mrs. Virginia Rankin. This
6 is for the purpose of aiding us in preparing a summary
7 and also providing a complete record of what is said here.
8 We will make copies of the summary and transcript avail-
9 able to the Washington State Pollution Control Commission.

10 I should indicate that Mrs. Rankin, who
11 has worked with us many times in the past--and if she
12 wasn't so young I would tell you how many years we have
13 worked together--is an independent contractor who got this
14 contract for this Conference by bidding against other
15 court reporters. We have found that the transcript made
16 available to you will be printed and distributed
17 generally in about four months, taking into account the
18 vagaries and problems of Government processing for print-
19 ing. Now, if any of you should want a copy of the tran-
20 script in advance for your own use or any portion of it,
21 I would suggest that you get in touch with Mrs. Rankin
22 and make your own arrangements. I suspect her fees will
23 be as reasonable to you as they are to us.

24 However, for the others, if you wish a
25 copy, for maintaining relationships within the State,

1 those people who wish the summaries and the transcripts
2 should request them through their State agency, that is
3 Mr. Harris in the Washington State Water Pollution Control
4 Commission, rather than come directly to the Federal
5 Government. The reason for this is that when the Con-
6 ference has been concluded, we would prefer people who
7 are interested in the problem to follow their normal
8 relationships in dealing with the State agency rather than
9 the Federal Government on these matters. This has worked
10 successfully in the past. We will be most happy, as we
11 have done in the past, to make this material available to
12 the State of Washington for distribution.

13 Roughly the agenda we are going to follow
14 for the Conference is calling on the Federal Government
15 for its presentation first, then we will call on the State
16 of Washington for its presentation, and Mr. Harris will
17 then call the invitees and the people who have indicated
18 to him that they wish to make statements for the State of
19 Washington. Both Mr. Poston and Mr. Harris will manage
20 their own time. We have generally found that we have one
21 recess in the morning, a luncheon break of about an hour
22 and a half, one or so recesses in the afternoon, depending
23 on the nature of the Conference, and we would hope to stop
24 at 5 o'clock.

25 We are here to hear everyone, but I give

1 you the schedule so you can gauge your own time. Our
2 experience has shown that with a single reporter it be-
3 comes cruel and inhuman punishment to extend the hearing
4 much past 5 o'clock. In addition to that, the Conferees
5 and the participants tend to get testy at that time and
6 sometimes say things they regret later. As Mrs. Hough is
7 fond of pointing out, the tireder she gets after 5 o'clock
8 and the more irritable the Conferees and participants get,
9 the faster they talk. So we put an intolerable burden on
10 the stenographer as we get more tired.

11 I would suggest that all speakers and
12 participants other than the Conferees making statements
13 come to the lectern and identify themselves for the
14 purposes of the record.

15 Before we call on the Federal Conferee,
16 I believe that Mr. Harris has an introduction.

17 Mr. Harris.

18 MR. HARRIS: I should like at this time
19 to introduce Mr. John Moose, one of the members of the
20 Water Pollution Control Commission. John. (Applause)

21 I would like to mention that additional
22 commissioners will be on hand for this afternoon's session.

23 CHAIRMAN STEIN: Thank you, Mr. Harris.

24 At this point we would like to call on
25 Mr. Richard Poston, the Federal Conferee. Mr. Poston.

1 EARL N. KARI

2 INTRODUCTION

3 Today we will summarize the work and
4 findings of the Washington State Enforcement Project.
5 This Project has been the joint undertaking of the Water
6 Pollution Control Commission in Washington and the
7 Federal Water Pollution Control Administration. Its
8 principal objective was the evaluation of the pollutorial
9 impact of pulp and paper mill wastes discharged into
10 Puget Sound upon the fishery resources of those waters.
11 The Project's studies extended into four study areas and
12 considered seven different mills, owned by six companies.
13 The field work began in April 1962 and was completed in
14 June of 1966. A complete description of the studies, the
15 results, and the recommendations of the Washington State
16 Enforcement Project has been published in a 450-page
17 report entitled, "Pollutorial Effects of Pulp and Paper
18 Mill Wastes in Puget Sound," dated March 1967. The report
19 has already received wide distribution throughout the
20 Puget Sound area, and, Mr. Chairman, I would like to have
21 the report made a part of the record.

22 CHAIRMAN STEIN: This will be done. I
23 think the report, without objection from the Conferees,
24 should be carried as an exhibit or an appendix to the
25 transcript so it will be readily available to those

1 EARL N. KARI

2 interested in the problem and you won't have to cross
3 reference or run to a library every time you want to look
4 up a point.

5 (The report is marked Exhibit 1.)

6 CHAIRMAN STEIN: You may continue.

7 MR. KARI: Thank you, Mr. Chairman.

8 The summary to be presented here will be
9 limited, first, to some general background comments to
10 orient the significance and purpose of the study and this
11 Conference; second, a generalized description of the
12 study methods and significant findings; and finally, a
13 discussion of the impact of the waste sources in each of
14 the four major study areas and the Project's recommen-
15 dations for pollution abatement.

16 BACKGROUND

17 Puget Sound is one of Washington's most
18 valuable assets, and its vast expanse of estuarine waters
19 serves a wide variety of uses, contributing to the economy
20 of the State and the well-being of its residents. By
21 definition in the Water Quality Act of 1965, it is a
22 coastal water and subject to Federal as well as State
23 pollution control measures. The Sound is intensively used
24 for recreation, including boating, picnicking, camping,
25 fishing, and swimming. Water transportation, including

EARL N. KARI

1
2 ocean-going, coastal, and intra-Sound traffic, is an
3 important water use. The scenic beauty of the Sound area
4 is well known and it provides an attractive setting for
5 homes, summer cottages, and the recreational activities.
6 It is an outstanding tourist attraction.

7 One of its most important uses, however,
8 in both economic and social terms, is the fishery it sup-
9 ports. Waters of Puget Sound are naturally rich and
10 productive and provide a valuable commercial and sport
11 fisheries resource. The resource includes not only a wide
12 variety of fish and shellfish harvested in the fisheries,
13 but also the numerous lesser food chain organisms neces-
14 sary to sustain these fisheries. From 1950 to 1963, the
15 average annual commercial harvest of fish and shellfish
16 was about 90 million pounds, and the average annual
17 wholesale value in recent years has been more than ten
18 million dollars. An estimated 300,000 sport fishermen
19 use Puget Sound waters and tributaries annually, and,
20 of course, crabs and clams are taken by many recreationists.

21 The waters of the Sound can also bene-
22 ficially serve to assimilate the residual wastes from
23 cities and industries to the extent that such discharges
24 do not interfere with other uses. However, the inten-
25 sively developed and rapidly growing areas of Puget Sound

EARL N. KARI

1
2 generate raw and partially treated waste discharges beyond
3 the capacity of portions of the Sound to absorb them
4 without damaging other water uses.

5 The State of Washington has long been
6 concerned with the mounting pollution in Puget Sound and
7 has expended a great deal of effort in seeking its
8 abatement. Excellent progress was made in that most
9 cities and industries had met the State's requirements
10 for treatment and control of wastes. However, certain
11 major waste sources, principally the seven pulp and
12 paper mills discussed herein, failed to comply with State
13 recommendations. Because of this and because of the
14 damage occurring in the marine environment the Honorable
15 Albert Rosellini, former Governor of the State of
16 Washington, requested Federal enforcement assistance under
17 provisions of the Federal Water Pollution Control Act.

18 The initial enforcement Conference was
19 convened January 16 and 17, 1962, to receive testimony
20 on the extent of pollution and its causes and to outline
21 abatement action requirements. In two days of hearings
22 the Conference heard statements from the Washington
23 Pollution Control Commission and five other State agencies,
24 two Federal agencies, the oyster growers, the pulp and
25 paper industry, labor unions, sportsmen, and many other

1 EARL N. KARI

2 interested individuals and groups. The final recommen-
3 dation of the Conference was for a joint Federal-State
4 investigation of the pollution, particularly the extent
5 of damages to fishery uses, resulting from pulp and paper
6 industry waste discharges. The Washington State Enforce-
7 ment Project was initiated to comply with this recommen-
8 dation, and the results of the Project investigation are
9 the subject of this second session of the Conference.

10 At this time, Mr. Chairman, I would like
11 to introduce Mr. John Vlastelicia, Deputy Project Director,
12 who will now present the findings of the Project.

13 CHAIRMAN STEIN: Thank you.

14 STATEMENT OF JOHN VLASTELICIA

15 OF THE

16 FEDERAL WATER POLLUTION CONTROL ADMINISTRATION

17 MR. VLASTELICIA: Mr. Chairman, Conferees,
18 ladies and gentlemen.

19 My name is John Vlastelicia.

20 THE STUDY

21 (The following narrative accompanied the
22 showing of slides:)

23 The Washington State Enforcement Project
24 studied four specific areas in great detail, and these
25 are shown on the slide. The areas were Bellingham,

1 JOHN VLASTELICIA

2 Anacortes, Everett and Port Angeles.

3 CHAIRMAN STEIN: Just one moment. Is this
4 visible?

5 (Lights out.)

6 MR. VLASTELICIA: Can you read that at the
7 back of the room, Brian?

8 MR. JOHNSON: Yes.

9 MR. VLASTELICIA: The four study areas were
10 Bellingham, located in the northern section of the study
11 area, Anacortes just below it, Everett south of that, and
12 Port Angeles on the Strait of Juan de Fuca.13 The seven principle mills involved were
14 the Georgia-Pacific Corporation mill at Bellingham, the
15 Scott Paper Company at Anacortes, the Scott Paper Company,
16 Simpson Lee Paper Company and Weyerhaeuser Company at
17 Everett, and Fibreboard Paper Products Corporation and
18 Rayonier, Incorporated, at Port Angeles.19 Certain aspects of pollution from an eighth
20 mill, the Crown Zellerbach Corporation mill at Port
21 Angeles, were also considered. Other waste sources dis-
22 charging to the above study areas were also studied, but
23 were found to be insignificant in relation to the pulp and paper
24 mill waste discharges.

25 Each of these mills discharges large

JOHN VLASTELICIA

1
2 volumes of untreated or partially treated pulp and paper
3 mill wastes into Puget Sound. The ultimate impact of
4 these wastes on the marine environment was largely un-
5 documented at the time of the 1962 Conference. The
6 Project's objectives then were these: First of all, to
7 determine the effects of these wastes on water quality
8 and marine life, secondly to delineate their interference
9 with legitimate water uses, and third to determine
10 pollution abatement needs.

11 In order to accomplish this rather
12 ambitious program, the Project conducted comprehensive
13 studies consisting of four basic elements:

14 First, a program of economic studies to
15 evaluate some of the values of water uses and water re-
16 sources germane to the problems of pulp and paper mill
17 pollution.

18 Secondly, a program of in-plant surveys to
19 describe the pulp and paper mills and to determine the
20 quantity and composition of the wastes that they discharge
21 into the Sound.

22 Third, a program of oceanographic and
23 related studies to determine the subsequent distribution
24 of these wastes in the Sound and to describe their effect
25 on the receiving waters.

1 JOHN VLASTELICIA

2 And fourth, a program of biological
3 studies to determine the effects these wastes have on
4 the marine life.

5 The findings of these studies are discussed
6 in the March 1967 report that has already been entered
7 in the record. Incidentally, copies of this report are
8 available in the offices of the Water Pollution Control
9 Commission and the Federal Water Pollution Control Adminis-
10 tration. The scientific results of the oceanographic and
11 the biological studies have the most significant bearing
12 on the Project's recommendations for pollution abatement
13 and these two studies will be the major substance of
14 today's presentation.

15 The Project in its work considered results
16 of a number of studies conducted in these areas by other
17 State and Federal agencies, by the University of Washington,
18 and by the pulp mills. Only on a few occasions were
19 specific data withheld by the pulp mills.

20 OCEANOGRAPHIC AND RELATED STUDIES

21 Oceanographic and related studies were
22 conducted in each of the four study areas, in Bellingham,
23 Anacortes, Everett and Port Angeles. These studies
24 included three elements:

25 Periodic water sampling surveys to measure

JOHN VLASTELICIA

1
2 the distributions of waste and related water quality in
3 the receiving waters.

4 Then a program of water circulation studies
5 to relate the observed distributions of waste and water
6 quality to hydraulic features of the area.

7 And third, bottom sampling surveys to de-
8 scribe the composition and extent of sludge beds.

9 Now, while each study area represents a
10 separate waste-receiving environment, there are certain
11 oceanographic features which are characteristic to all.
12 One of considerable importance to the eventual distribution
13 of wastes is the near-surface density stratification which
14 persists in varying degrees throughout Puget Sound. Fresh-
15 water land drainage, being less dense than the saline
16 receiving waters of the Sound, stratifies near the surface.
17 The stability of this layer, of this surface layer,
18 inhibits vertical mixing; thus pulp and paper mill wastes,
19 also of lighter density than seawater, are generally
20 distributed near the surface over wide sectors of the
21 study area.

22 It is these same surface waters in which
23 are found most of the sensitive marine organisms which
24 are most likely to be adversely affected by pulp and paper
25 mill wastes.

JOHN VLASTELICIA

1
2 Another finding of the waste distribution
3 and water quality studies is this. There are generally
4 two zones of pollution associated with each waste source.
5 The first zone is a zone of acute pollution surrounding
6 each source. It is a localized condition resulting from
7 the discharge of large volumes of pulp and paper mill
8 wastes to shallow and confined dock-front areas. The
9 extent of this zone varies from a few hundred feet to as
10 much as a mile from the source, depending, of course, on
11 the volume and character of the wastes, the method of
12 discharge, and the local water circulation patterns.
13 Within this zone of acute pollution are found high waste
14 concentrations, anaerobic sludge deposits, and a result-
15 ing seriously degraded water quality.

16 Sulfite waste liquor concentrations often
17 exceed 1,000 parts per million. Sulfides and other toxic
18 and odorous gases are produced and released by the decom-
19 posing sludge. Result, oxygen concentrations drop below
20 parts per
five/million in this zone and often approach zero in some
21 areas, pH of the water drops a unit or more to below seven,
22 sometimes to below six, and the receiving waters are generally
23 turbid or highly colored.

24 Characteristically, very rapid changes in
25 water quality occur within the acute zone, depending on

JOHN VLASTELICIA

1
2 tides, winds and currents. Conditions in this zone kill
3 fish and are toxic to most other marine forms. The
4 development of a substantial portion of the bottom-
5 dwelling community is precluded, and odors and floating
6 and suspended material are aesthetically unacceptable.

7 Beyond this zone of acute pollution is a
8 second zone, a zone of chronic pollution. It often ex-
9 tends for many miles from the source. In this zone the
10 major pollutional impact of the pulp and paper mill waste
11 discharges is the presence of diluted quantities of
12 sulfite waste liquor, particularly in the critical near
13 surface waters.

14 The extent of the zone of chronic pollution
15 depends on the quantity and composition of the wastes,
16 the method and depth of discharge, and the general water
17 circulation patterns in the area.

18 In summary, then, the oceanographic and
19 related studies documented the existence of pulp and paper
20 mill wastes in Puget Sound, both vertically, in the near-
21 surface density stratified layer where sensitive marine
22 life also floats, and horizontally in two zones depicting
23 concentration of wastes and intensity of impact on marine
24 life, that is the two zones/^{of}acute pollution and of chronic
25 pollution.

1 JOHN VLASTELICIA

2 BIOLOGICAL STUDIES

3 To relate the findings of the oceanographic
4 studies to the Project's general objectives, a number of
5 biological studies were conducted. These biological
6 studies demonstrated that sulfite waste liquor, sludge deposits,
7 and the resulting conditions of degraded water quality
8 are harmful to marine life. The damages observed varied
9 from the rapid kill of juvenile salmon in the zone of
10 acute pollution to the relatively subtle but equally
11 damaging effects on oysters reared in the zone of chronic
12 pollution. The biological studies were designed to
13 either measure the reaction of the test organisms to pulp
14 wastes and water quality parameters through field and
15 laboratory bioassay techniques or to determine changes
16 in biologic population characteristics related to waste
17 levels and distance from the waste source.

18 JUVENILE SALMON STUDIES

19 One of the most significant biological
20 studies conducted was that involving juvenile salmon.
21 The anadromous fishery of Puget Sound includes the chinook,
22 the silver, the sockeye, pink, and chum species of salmon
23 and the steelhead, sea-run cutthroat and dolly varden
24 species of trout. After spending most of their adult
25 life in saltwater, these fish return to the tributaries

JOHN VLASTELICIA

1
2 to spawn, and after hatching the juveniles of these fish
3 spend varying periods of time in the tributary streams
4 and the near-shore areas of Puget Sound before moving
5 seaward.

6 The juvenile salmon studies were conducted
7 in three of the study areas, in Bellingham, in Everett
8 and Port Angeles. They consisted of, first, occurrence
9 studies to determine the migration routes and distribution
10 of wild juvenile salmon in each study area. Secondly,
11 field bioassay tests to determine the survival of these
12 fish in waters polluted by pulp and paper mill wastes and
13 insofar as possible to determine what specific water
14 quality parameters it is that does kill the fish that do
15 die.

16 The occurrence studies made by the Project,
17 along with similar studies made for the pulp mills by
18 the Fisheries Research Institute at the University of
19 Washington, showed that wild juvenile salmon are present
20 in large numbers at certain times of the year in each of
21 the three areas studied, and more importantly that the
22 migration patterns for a significant portion of these
23 fish are through the zones of acute pollution near the
24 mill outfalls.

25 Field bioassay studies were conducted by

JOHN VLASTELICIA

1
2 placing numbers of juvenile salmon in various arrange-
3 ments of live boxes and holding tanks throughout the zones
4 of acute pollution. Fish reactions to waste level and
5 water quality were monitored at regular intervals. The
6 parameters measured included sulfite waste liquor, dis-
7 solved oxygen, pH, hydrogen sulfide and total sulfides,
8 ammonia, and in some cases residual chlorine.

9 More than 100 tests were made and hundreds
10 of fish were killed. The results showed that while con-
11 ditions in the zone of acute pollution would for short
12 periods of time permit successful through-migration of
13 young salmon, conditions of lethal toxicity also developed,
14 often very rapidly. Once stricken, the test fish quickly
15 became disoriented and showed erratic behavior and aimless,
16 non-directional swimming. They showed no avoidance
17 behavior. Death usually followed rapidly.

18 The numbers of wild juvenile salmon
19 actually killed by lethal conditions in these zones
20 cannot be determined. In the first place, these young
21 fish always sink when they die. Consequently, kills of
22 juvenile salmon are not evidenced by floating dead fish
23 as has been observed in these areas with other types of
24 fish.

25 Secondly, in cases resulting in mortality,

JOHN VLASTELICIA

1
2 death was preceded by an inability to swim and avoid
3 predators for periods up to 20 minutes after stricken.
4 Therefore, some loss of wild fish must certainly occur
5 from abnormally high predation, such as from seagulls or
6 other fish-eating birds. In view of the number of fish
7 observed in these areas and of the demonstrated frequency
8 of toxic conditions, it is concluded that significant
9 numbers of juvenile salmon are killed during migration
10 in these areas.

11 The chemical tests associated with the
12 bioassays showed that a number of conditions develop in
13 the zone of acute pollution which either individually or
14 in combination may cause fish mortality. These included
15 conditions of low dissolved oxygen, low pH, and high
16 sulfite waste liquor content, but most often implicated
17 in these mortalities were the toxic gases produced by
18 sludge bed decomposition.

BENTHIC STUDIES

19
20 While juvenile salmon are indirectly
21 damaged by the sludge beds, the bottom-dwelling communities
22 near the mills experienced considerable direct adverse
23 effects.

24 The bottom life or benthos is an important
25 segment of the marine community and includes many of the

JOHN VLASTELICIA

1
2 crustaceans, such as crabs, shrimps and barnacles; the
3 mollusks, such as clams and snails; many types of worms;
4 and a variety of other life. This bottom life is an
5 integral part of the food web of Puget Sound. It has a
6 substantial commercial and recreational/^{fishing}value in terms of
7 crabs and clams and shrimps and bottom-feeding fishes.

8 Sludge deposits have an adverse effect on
9 the natural benthic community of an area by eliminating
10 many of the desirable species through burial and suffocation
11 or exposure to toxic gases. This effect is manifested
12 not only in terms of reduced numbers of organisms but in
13 reduced population diversity, that is reduced number of
14 kinds of organisms present.

15 Field sampling surveys were conducted in
16 Bellingham, Everett and Port Angeles to determine the
17 bottom-dwelling communities of these areas. Benthic
18 organisms retrieved in grab-samples were identified and
19 counted and the results were related to volatile solids
20 content and thickness of the sludge blankets in the area.
21 Up to seven kinds of benthos were found to inhabit areas
22 of natural bottom composition beyond the area affected by
23 sludge beds. The number of kinds was sharply reduced in
24 those areas where sludge was present. No animals were
25 found in areas of thickest sludge deposit, where volatile

JOHN VLASTELICIA

1
2 solids content exceeded about 30 percent. In large por-
3 tions of the sludge covered areas only one kind of
4 benthos was found and this was a pollution tolerant
5 species of worm.

6 These observations of damage to marine
7 life within the zone of acute pollution are not surprising.
8 On the contrary, it would have been very surprising if
9 such damages were not observed, since pollution levels in
10 these areas are often well above those already known to
11 be toxic to marine life.

12 Not so obvious, but of more far-reaching
13 importance, are damages occurring to sensitive marine forms
14 in the zone of chronic pollution. Recall that in this zone
15 the main pollutional impact is the presence of dilute and
16 often very dilute concentrations of sulfite waste liquor
17 in the near surface waters. However, it is also in these
18 waters where are harbored many of the very sensitive
19 marine forms, the plankton, the egg and larval stages of
20 most marine life.

21 At some phase of its life cycle, almost
22 every marine animal is planktonic, that is it drifts
23 passively with the currents or with only limited mobility
24 of its own. For many of the finfishes and shellfishes of
25 Puget Sound this planktonic phase occurs during early

JOHN VLASTELICIA

1
2 development, usually during the egg and larval stages.
3 During these stages, the organisms lack many of the
4 protective mechanisms of later development and are often
5 adversely affected by relatively minor kinds and degrees
6 of pollution.

7 Planktonic early life stages of a variety
8 of marine animals are found in near-surface waters through-
9 out Puget Sound. Among these are the larvae of shell-
10 fishes, oysters, clams and crabs, and the egg and larval
11 stages of several species of important fish, including
12 flounder, sole, cod and hake. To assess the extent to
13 which pulp and paper mill wastes affect these sensitive
14 organisms, extensive bioassay studies were conducted with
15 Pacific oyster larva and English sole eggs.

16 These two test organisms are considered
17 to be representative of a large group of marine organisms
18 found in the study area which are expected to be similarly
19 affected by pulp and paper mill wastes. This group
20 includes some ten species of sole, six species of cod,
21 anchovy, herring, smelt, several species of clams and
22 crabs, just to mention a few of the more important ones.

23 The most extensive studies undertaken were
24 the oyster larva bioassay studies which were conducted
25 in cooperation with the Washington State Department of

1 JOHN VLASTELICIA

2 Fisheries Shellfish Laboratory in Quilcene.

3 To acquaint you with this work and its
4 pertinent results, Mr. Marvin Allum of our staff will
5 discuss in some detail the oyster larva bioassay studies.

6 Mr. Allum.

7 STATEMENT OF MARVIN ALLUM

8 OF THE

9 FEDERAL WATER POLLUTION CONTROL ADMINISTRATION

10 MR. ALLUM: Thank you, Mr. Vlastelicia.

11 Mr. Chairman, Conferees, ladies and gentle-
12 men.

13 Mr. Chairman, a good portion of this
14 presentation will consist of slides. I have not prepared
15 a text per se to accompany these slides. However, a
16 summary of the material I am going to present is included
17 in the material you already have, if that is satisfactory.

18 CHAIRMAN STEIN: Yes, sir. Will you comment
19 on the slides as they appear?

20 MR. ALLUM: Yes, I will comment as we go.

21 CHAIRMAN STEIN: I notice there is a summary
22 of your statement here. This summary will appear in the
23 record as if presented, without objection, in addition to
24 the comments you make as the slides appear.

25 (The summary referred to follows:)


MARVIN ALLUM

1
2 "Oyster Larvae Studies -- (Summary of Mr.
3 Allum's Discussion).

4 "The Project conducted two investigations
5 using the larvae of the Pacific oyster as the test organisms.
6 One was a field-sample study to measure the response of
7 oyster larva to surface-water samples collected throughout
8 each of the four study areas, and the other was a waste-
9 sample study to determine the effects of the various waste
10 streams of the pulp and paper mills on the larvae.

11 "The flow diagram, following, shows the basic
12 features of the field-sample response study. The series of
13 boxes to the left illustrates the procedures used to obtain
14 fertilized eggs; the series to the right deals with the col-
15 lection of field samples and the initial analyses for
16 chlorophyll, salinity, and SWL; and the lower center series
17 shows the steps in the bioassay test, the measurements of
18 responses, and the terminal chemical analyses.

19 "Bioassay results were reported in terms of
20 the percent of abnormal larvae in each culture after incu-
21 bation. Larvae not fully shelled were counted as abnormal,
22 whereas all fully-shelled larvae were considered to be
23 normal, without regard to other abnormalities that might
24 have been evident. This procedure avoided subjective
25 interpretation in counting and provided a conservative



Flow diagram of the field-sample oyster-larva response study.

MARVIN ALLUM

1
2 measure. That this criterion is meaningful is attested to
3 by the fact that repeated efforts to rear abnormal
4 larvae to the juvenile oyster stage have all met with
5 failure.

6 "The field-sample study was initiated in
7 May 1963 and terminated in August 1965. Surface samples
8 of water (field samples) were collected at monthly inter-
9 vals from the stations in the four study areas. Extra
10 sets of samples from some of these stations also were
11 collected on July 6, 1964, and in November 1964, to
12 evaluate water quality changes occurring during mill
13 closure periods. Samples were air transported to the
14 Washington State Department of Fisheries Shellfish Labora-
15 tory for the bioassays.

16 "In the waste sample study, 24-hour com-
17 posite samples were collected from individual mill waste
18 streams. Aliquots of these samples were analyzed for
19 SWL, total solids (fixed and volatile), suspended solids
20 (fixed and volatile), total sulfur, BOD₅, and COD. The
21 samples were shipped under refrigeration to the Washing-
22 ton Department of Fisheries Shellfish Laboratory where
23 they were immediately prepared for bioassay. Serial
24 dilutions of one part waste sample to 10, 20, 100, 200,
25 1,000, 2,000, 10,000, 20,000, 100,000, and 200,000 parts

MARVIN ALLUM

1
2 of fresh unpolluted seawater (laboratory water supply)
3 were made. For each waste sample, percent-abnormal values
4 from the several dilutions were plotted on probit paper
5 against the appropriate dilution ratios and SWL concen-
6 trations. From the line of best-fit, dilution ratios
7 and SWL values for the 0, 20, 50, and 100% abnormal levels
8 were determined.

9 "All bioassays and associated laboratory
10 analyses were performed or supervised by Charles E. Woelke
11 of the Laboratory's staff. The results of the waste-sample
12 study were analyzed and evaluated by Mr. Woelke; the re-
13 sults of the field-sample response study were statisti-
14 cally analyzed by Dr. Gerald J. Paulik, Biometrician,
15 University of Washington School of Fisheries.

16 "The results of the field-sample study are
17 fully presented and discussed by Dr. Paulik in a final
18 report to the Project. However, only those data (1)
19 derived from or associated with bioassay responses not
20 influenced by low salinity and poor test-animal stock
21 and (2) those associated with normal mill operations,
22 i.e., the usual ranges of water quality and environmental
23 factors prevailing in the study area--are included here.
24 The rationale for limiting the data is given in the Project's
25 final report.

MARVIN ALLUM

1
2 "Briefly, the field-sample study clearly
3 demonstrated the adverse effect of pulp and paper mill wastes
4 on the marine environment in that:

5 "1. The number of abnormal larvae increased
6 as SWL concentration increased;

7 "2. The number of abnormal larvae increased
8 as the distance from each mill's discharges decreased (and
9 SWL increased);

10 "3. When the pulp and paper mills were not
11 operating, as during the November 1964 strike, larval ab-
12 normality dropped to near zero in the strike-affected study
13 areas; but remained at about the usual levels in the Everett
14 study area where one of the mills continued production.

15 "4. When production in the strike-affected
16 areas was resumed, larval abnormalities immediately climbed
17 back to the former levels;

18 "5. Larval abnormality began to increase
19 very rapidly at SWL concentrations of about 10 ppm and
20 reached near-100% at 40 to 60 ppm SWL, depending on the
21 study area.

22 "It is interesting to note that contrary to
23 the contention that SWL concentrations (as measured by the
24 Pearl-Benson test) of 10 ppm or less are 'background'
25 levels--i.e., attributable to substances other than SWL--

MARVIN ALLUM

1
2 the levels of SWL fell to zero, or nearly so, in all of
3 the strike-affected areas when production ceased.

4 "The waste-sample study revealed the most
5 toxic components of pulp and paper mill wastes are asso-
6 ciated with chemical-pulping processes. It was also found
7 that many of the individual waste streams were toxic (i.e.,
8 caused 20% abnormality) at or below SWL levels once con-
9 sidered as 'background'--3 ppm and less. This implies that
10 the absence of high SWL levels in areas receiving pulp
11 mill wastes does not rule out the mill as a source of
12 damaging wastes."

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MARVIN ALLUM

2 CHAIRMAN STEIN: You may proceed, Mr. Allum.

3 MR. ALLUM: Thank you.

4 OYSTER LARVAE STUDIES

5 The Project conducted two investigations
6 using the larvae of the Pacific oyster as the test organisms.
7 One of these studies was a field sample study to measure
8 the response of the oyster larvae to surface water samples
9 collected throughout each of the four study areas, and
10 the other study was conducted to determine the effects
11 on the larvae of the various individual waste streams
12 from each of the mills and thus determine the relative
13 toxicity of the waste components at each mill. The
14 effluents of oil refineries at Mark Point near Anacortes
15 were also tested by this method.

16 The field sample study was initiated in
17 May 1963 and was terminated in August of 1965. Surface
18 samples of water in the field samples were collected at
19 monthly intervals from various stations in the four study
20 areas. Extra sets of samples were collected from some of
21 these stations on July 6, after a three-day 4th of July
22 holiday, in which production was shut down, and again in
23 November of 1964, during the period when most of the mills
24 in the study areas were closed because of a labor strike,
25 to evaluate water quality changes occurring during the mill

MARVIN ALLUM

1
2 closures. Samples were air transported to the Washington State
3 Department of Fisheries Shellfish Laboratory for the bioassays.

4 In the waste sample study 24-hour composite
5 samples were collected from the individual mill waste streams.
6 Aliquots of these samples were tested for sulfite waste
7 liquor and other components and the samples were shipped
8 under refrigeration again to the fisheries laboratory at
9 Point Whitney, where they were immediately prepared for
10 bioassay. Serial dilutions of one part of waste sample
11 to 10, 20, 100, 200, and so on, parts of seawater from the
12 laboratory supply were made. For each waste sample, percent
13 abnormal values from the several dilutions were plotted on
14 probit paper against the appropriate dilution ratios and
15 sulfite waste liquor concentrations. From the line of
16 best-fit, dilution ratios and associated sulfite waste
17 liquor values for the 0, 20, 50 and 100 percent abnormal
18 levels were determined.

19 All bioassays and associated laboratory
20 analyses were performed or supervised by Charles Woelke
21 of the laboratory's staff. The results of the waste
22 sample study were analyzed and evaluated by Mr. Woelke;
23 the results of the field sample response study were
24 statistically analyzed by Dr. Gerald Paulik, who is a
25 Biometrician at the Washington University School of Fisheries.

1 MARVIN ALLUM

2 By means of slides we will examine in some
3 detail the field sample bioassays, using oyster larvae as
4 response organisms. Essentially the same technique was
5 used in the waste sample studies.

6 CHAIRMAN STEIN: Pardon me, Mr. Alum. Do
7 you want these slides to be made part of the record?

8 MR. ALLUM: There are quite a number of them
9 and the only ones we have are in color and I don't think
10 they would reproduce very well for the record.

11 CHAIRMAN STEIN: How many copies do you have
12 of those you have?

13 MR. ALLUM: We have two sets, I think, within
14 our organization and could have some copies made from the
15 originals which Mr. Woelke has.

16 CHAIRMAN STEIN: I think it might be wise
17 for the record if you will identify these slides by number
18 as slides 1, 2, 3, 4, and we will have a set available, if
19 this is agreeable to you and the Conferrees, in the Regional
20 Office in Portland, who will make a set available to Mr.
21 Harris to have at his office in Olympia, and we will have
22 a set available in Washington so anyone who reads the
23 record and wants to refer to the slides can get these. At
24 least in the Federal offices these slides will be available
25 for inspection and projection during normal business hours

MARVIN ALLUM

1
2 on application.

3 (The slides referred to are marked Exhibit 2 and
4 are on file at the FWPCA Headquarters in Washington, D.C., with
5 copies on file at the FWPCA Regional Office in Portland, Oregon,
6 and the State of Washington WPCO office in Olympia, Washington.)

7 CHAIRMAN STEIN: Now, I would suggest, so the
8 record is meaningful, that we designate this as slide probably
9 FG-1, for Federal Government, and you don't have to say FG,
10 Mrs. Rankin will take it down, but just identify them so we
11 know what you are talking about.

12 This is slide FG-1. Will you proceed, Mr. Allum.

13 MR. ALLUM: I will attempt to keep track of
14 these by number. I generally keep track of them by content.

15 CHAIRMAN STEIN: That is right. But you know,
16 when someone reads the record who isn't here and you talk
17 about a slide that isn't identified and they want to check
18 on it, it is a little difficult.

19 MR. ALLUM: Right.

20 CHAIRMAN STEIN: We have to think in terms of
21 the record and the people who aren't here or that are not as
22 familiar with the content as you are. We have to think of
23 their needs and the perfection of the record.

24 So I would appreciate it if you could just keep
25 these in numerical sequence.

MR. ALLUM: Yes, I will try to do that, Mr.
Chairman. Perhaps Mrs. Rankin can help me keep track of

1 the content.

2 (Slide FG-1)

3 First of all, this first slide shows merely
4 that oysters are collected from their natural growing areas
5 and are taken to the laboratory--

6 (Slide FG-2)

7 --where they are held for a period of six to eight weeks
8 at about 20 degrees Centigrade. During this time the
9 reproductive organs of the oysters ripen and they are
10 physiologically then capable of spawning.

11 (Slide FG-3)

12 For a particular sampling trip, the inves-
13 tigator and the pilot beforehand get together, determine
14 what stations they are going to visit, in what order and
15 sequence, and so on.

16 (Slide FG-4)

17 In the laboratory the lab technician does
18 a little calculating as to when he will need to have the
19 oysters spawning. He determines that the plane left at
20 about 11 a.m. and would return at about 1 o'clock. He
21 plans, then, to start his spawning at about 12:45 p.m.
22 The technique is relatively precise.

23 (Slide FG-5)

24 5. At about 11 o'clock the oysters are
25 placed in somewhat warmer water than that they have been

MARVIN ALLUM

1
2 in, about 30 degrees. This warmer water then induces
3 spawning within a relatively short time.

4 (Slide FG-6)

5 Occasionally it is necessary to add
6 sperm to the dishes to help out with the spawning. In
7 the meantime, the plane has stopped at the first of the
8 sampling stations. This one happens to be at Anacortes.
9 We are looking down at Fidalgo Bay.

10 (Slide FG-7)

11 The plane lands and a surface sample is col-
12 lected in a plastic container. You will note that this is
13 strictly a surface sample. In the background in the doorway
14 you can see another plastic container. This is a carry-along
15 control, a sample of water that is taken throughout the
16 flight to assess any stresses that may occur because of the
17 transportation method or handling of the samples en route.

18 (Slide FG-8)

19 The plane then visits the next sampling
20 area, and this happens to be Bellingham.

21 (Slide FG-9)

22 And a third area at Port Angeles.

23 (Slide FG-10)

24 Then the plane returns, usually well
25 within two hours, never more than three hours later, to the

MARVIN ALLUM

1
2 laboratory at Point Whitney.

3 (Slide FG-11)

4 The samples are transferred to a vehicle
5 and are immediately taken to the lab.

6 (Slide FG-12)

7 During the time the samples have been--are
8 being collected and right on time the oysters have spawned.

9 (Slide FG-13)

10 To insure adequate fertilization, even
11 though on most occasions sperm is added to the dishes with
12 the female oysters to induce spawning, to insure that all
13 eggs are fertilized additional sperm is added to the egg
14 suspension, which is, of course, collected from the dishes.

15 (Slide FG-14)

16 Then while gently stirring the now fertilized
17 eggs to keep them in suspension, because they will naturally
18 sink, a small portion of the egg suspension is placed in a
19 beaker and--

20 (Slide FG-15)

21 --sterilized and filtered laboratory water is added to
22 provide some dilution for the eggs in the beaker and are
23 left there millions and millions of eggs, and since it is
24 necessary to count these, a dilution to more countable
25 portions is needed.

1 MARVIN ALLUM

2 (Slide FG-16)

3 Again keeping the eggs gently agitated to
4 keep them in suspension and evenly distributed throughout
5 the water mass, a small sample is withdrawn--

6 (Slide FG-17)

7 --placed on a microscope slide and examined under the
8 compound microscope.

9 (Slide FG-18)

10 And the round objects that you see here on
11 the screen are freshly fertilized oyster eggs. I don't
12 see any there yet that have begun to divide.

13 (Slide FG-19)

14 The feed samples then that have been brought
15 in by plane are divided into three one-liter samples.
16 Each sample then is run in triplicate.

17 (Slide FG-20)

18 The remaining portion of the field sample
19 is tested for sulfite waste liquor by the Pearl-Benson
20 Index, the salinity is determined and chlorophyll is also
21 determined. It was found during some of the earlier
22 studies that certain amounts of chlorophyll did seem to
23 have some effect on the larvae. To insure that we were
24 not looking at results due to extra amounts of chlorophyll,
25 chlorophyll was routinely done as a check.

MARVIN ALLUM

(Slide FG-21)

Then to each of the three beakers for each sample an aliquot portion of eggs is distributed to try to get from 20,000 to 30,000 eggs per beaker.

(Slide FG-22)

The beakers then are incubated at 20 degrees Centigrade in a water bath. Now, in actual practice these beakers would be covered and would be in a somewhat larger container.

(Slide FG-23)

48 hours later the eggs are concentrated or removed from the sample by pouring the sample through a 35-micron mesh sieve. Note that the water passing through is being collected.

(Slide FG-24)

The water minus the eggs is again subjected to the Pearl-Benson Index for sulfite waste liquor to insure that no changes have occurred during the 48-hour period and the salinity is also checked to insure that this parameter has not changed during the test.

(Slide FG-25)

The eggs then that are collected in the 35-micron screen collector are subsequently washed into a beaker of sterile filtered seawater.

1 MARVIN ALLUM

2 (Slide FG-26)

3 This, then, is diluted for much the same
4 reason that the egg suspension was diluted initially and
5 that is to get the 20,000 to 30,000 now larvae diluted to
6 the point that a countable sample can be taken.

7 (Slide FG-27)

8 As you see here, then, an aliquot of this
9 dilution is taken--

10 (Slide FG-28)

11 --placed in a small vial and a little formalin is added
12 to preserve the sample until the counts can be made.

13 (Slide FG-29)

14 Later on the sample is transferred again
15 to a microscope slide and--

16 (Slide FG-30)

17 --with the compound microscope we examine the straight
18 hinge larvae that result after 48 hours of incubation at
19 20 degrees. In the lower right-hand corner is a larva
20 which would be counted as normal. The next to the last
21 on the left lower would also be counted as normal. All
22 of the other larvae shown here show some evidences of
23 abnormality. In actual practice, the criterion that was
24 used was whether or not shell development was adequate and
25 covered the soft parts of the larval body. Even though

MARVIN ALLUM

1
2 some other abnormalities may have been evident, only this
3 criterion was used throughout so as to provide a workable
4 criterion for all concerned.

5 (Slide FG-31)

6 Now we will review briefly the technique
7 again with this flow diagram, which, incidentally, is in
8 Page 135 of the project report. It is also following the
9 Page 14 of the summary that many of you have.

10 Before passing from the abnormal larvae
11 let me say that repeated attempts to rear abnormal larvae
12 such as the ones you saw have all met with failure. No
13 successful attempt has ever been made to rear these to
14 juvenile or adult oysters.

15 Now, the results of the field sample study
16 are fully presented and discussed by Dr. Paulik in a
17 final report to the Project and, of course, are discussed
18 fully in the Project's final report itself. However, in
19 the data that we are going to examine next, only those
20 data derived from or associated with bioassay responses
21 not influenced by low salinity and poor test-animal stock
22 and those associated with normal mill operations, that is
23 aside from strike periods when the usual ranges of water
24 quality and environmental factors prevail, are included
25 here. The rationale for limiting the data to these is

MARVIN ALLUM

1
2 given in the Project's final report.

3 Let's take a look at the results of these
4 studies, beginning first with the field sample bioassay
5 study.

6 (Slide FG-32)

7 This is the Bellingham area--

8 Are those figures clear enough, Brian?

9 MR. JOHNSON: I think so.

10 MR. ALLUM: (Slide FG-32) Beginning at
11 Bellingham at the point closest to the mill, for those
12 of you who may not be able to read it, we have what
13 appears to be a fraction. The numerator of the fraction
14 is the percent abnormal oyster larvae, mean percent ab-
15 normal oyster larvae, taken over quite a number of tests.
16 The denominator is the mean sulfite waste liquor value for
17 that station as determined by the Pearl-Benson Index. In
18 this case at the station closest to the mill you will note
19 that the mean percent abnormal was 100 percent. The mean
20 sulfite waste liquor was 1,120 parts per million.

21 Proceeding then down the east shoreline
22 of Bellingham Bay and near Post Point, we have 91 percent
23 abnormal, 245 parts per million average sulfite waste
24 liquor.

25 The next, 68 and 104.

MARVIN ALLUM

1
2 The next 26 percent and 24 parts per million.

3 Dropping down rapidly to 4 percent and about
4 6 parts per million of sulfite waste liquor.

5 2-1/2 percent and about 4 parts per million
6 of sulfite waste liquor.

7 2 percent and 2 parts per million of sulfite
8 waste liquor.

9 And then out on Wind Point we have 8-1/2
10 percent abnormal and about 6 parts per million of sulfite
11 waste liquor.

12 At this point (indicating) we have 13 percent
13 abnormal larvae and about 95 parts per million of sulfite
14 waste liquor on the average--9.5. I need my glasses.

15 Then proceeding again up towards the mill,
16 we have 33 percent and 19.

17 20 and 14.

18 And again getting in closer to the mill,
19 69 percent and 59 parts per million sulfite waste liquor
20 on the average.

21 Now in the Anacortes area, beginning at the
22 point near the discharge of the Scott Mill, we have 2.8 per-
23 cent abnormal and an average sulfite waste liquor of 110.

24 Now, I should point out that at this station we usually
25 got either a very low percent of abnormal or 100 percent.

MARVIN ALLUM

1
2 The sampling point, depending upon the tide, was either
3 within the influence of the mill discharge or on another
4 tide, outgoing tide, for example, would be outside of the
5 point of influence of the mill discharge. The tide moves
6 quite rapidly through the channel.

7 Then out towards the end of the channel we
8 have 3.6 and about 3.

9 Over in Fidalgo Bay 6.1 percent and about
10 2.2 average sulfite waste liquor.

11 Further down into the bay 2.3 and 1.2.

12 Over into Padilla are relatively low values.

13 And finally down in Smelt Bay 9.0 and about
14 4 parts per million.

15 Now, in contrast to what we see here, let's
16 take a look at the situation after the mills have been
17 closed for about 12 days in November '64 when a labor
18 strike closed all but the Weyerhaeuser Mill in Everett.

19 (Slide FG-33)

20 As you can see, there is a considerable
21 difference when the mills are operating and when they are
22 not. Unfortunately, the previous station there could not
23 be collected--was collected, excuse me, but the salinity
24 was so low that we could not use the data, and frequently
25 as we look at these data obtained during mill closures

MARVIN ALLUM

1
2 you will find stations that are missing. There are two
3 possible reasons. Either the salinity was so low we could
4 not use the sample or because of weather conditions it was
5 impossible to land and take off at that particular station
6 on the day those samples were collected. These samples,
7 as you recall, are collected by float plane, and we need
8 fairly decent weather to get down and pick them up.

9 In any case, note here at Post Point, less
10 than 1 percent abnormal, a sulfite waste liquor value of
11 5 parts per million. This contrasts with a mean value at
12 this point of 245 parts per million taken during our
13 ordinary sampling and a 91 percent abnormal level at that
14 point.

15 The next station, then, proceeding again
16 down the east shore, less than 1 percent abnormal and less
17 than 1 part per million of sulfite waste liquor.

18 At this station (indicating) again less
19 than 1 percent abnormal and 0 sulfite waste liquor.

20 At this point (indicating) less than 1 per-
21 cent again and less than 1 part per million.

22 William Point, less than 1 percent and
23 0 sulfite waste liquor.

24 At this station (indicating) we have almost
25 2 percent abnormal, 0 sulfite waste liquor. This 2 percent,

MARVIN ALLUM

1
2 incidentally, is within the range of our controls.

3 At that point (indicating) less than 1 per-
4 cent abnormal and 0 sulfite waste liquor.

5 There (indicating) 2 percent abnormal and
6 1 part per million sulfite waste liquor.

7 There are two things, I think, we will
8 want to keep in mind as we examine the results from mill
9 closures and that is that when the mills are not operating
10 sulfite waste liquor values as determined by the Pearl-
11 Benson Index fall to or very near zero. Further, that
12 the abnormalities of oyster larvae also fall to or very
13 near zero.

14 (Slide FG-34)

15 In the Anacortes area, look at the lower
16 portion of the slide, we were unable to get the entire
17 gamut of samples here because of weather conditions. Only
18 two stations are represented, but note that at this point
19 (indicating) we had 7-tenths of 1 percent abnormal and
20 about a half percent there (indicating). The sulfite
21 waste liquor values are not included on this particular
22 one, if they are in the previous one. They were less than
23 1 or 0, 0 at this point or less than 1 at that point.

24 The usual values found during our survey
25 are shown in the upper portion, notice there (indicating),

MARVIN ALLUM

1 almost 29 percent, about 4 percent here (indicating), and
2 so on.
3

4 Let's move on down Puget Sound a ways.

5 (Slide FG-35)

6 This represents the Everett area. Now,
7 beginning out at East Point we find that our mean abnormal
8 larva percentage was about 4 and the mean sulfite waste
9 liquor concentration was about 6.

10 At this station (indicating) almost 3 per-
11 cent abnormal and 7 parts per million sulfite waste liquor.

12 At Hat Island, or Gedney I guess it is called,
13 (indicating) about 10 percent abnormal accompanied by 10
14 parts per million of sulfite waste liquor.

15 Now as we move in close to the point of
16 discharge of the deep water district diffuser utilized by
17 Weyerhaeuser and Scott companies, we find that we have
18 77 percent abnormal and an average sulfite waste liquor
19 of 77.

20 Moving then away from this point of dis-
21 charge we begin to drop down to 63.3 and 31 parts.

22 66 percent and 21 parts.

23 And at Mukilteo 48 and 16.

24 And on down along the shore south of
25 Mukilteo a little over 6 percent with 6 parts.

MARVIN ALLUM

1
2 Across near Possession Point 13 percent and
3 9 parts per million.

4 And 13 percent and 10 parts per million
5 (indicating).

6 Now, during the strike affecting most of
7 the mills in November of 1964, a portion of the Weyerhaeuser
8 plant at Everett continued production. I understand that
9 about 60 percent production was maintained by the
10 Weyerhaeuser mill during the strike period. The Scott mill,
11 I am told, was shut down completely. In any case, the
12 production that did continue there did not provide us with
13 a clear contrast of production versus no production, so
14 that we have no data for the strike period inasmuch as
15 sulfite waste liquor values and abnormalities at that time
16 were essentially the same as they were during our routine
17 sampling trips at other times. In other words, the
18 contribution of the one mill was sufficient to give us
19 about the same results we had when both mills were operating,
20 somewhat reduced.

21 So in order to get some comparison of pro-
22 duction, we are going to present some data obtained on
23 July 6 following a three-day holiday versus our mean
24 results for the stations indicated.

25 (Slide FG-36)

MARVIN ALLUM

1
2 Now, Station 1 is at East Point up in
3 Saratoga.

4 Station 3 is at Gedney or Hat Island.

5 Station 7 is near Mukilteo, just north of
6 Mukilteo.

7 Station 8 is south of Mukilteo along the
8 east shore.

9 And Station 10 is across Possession Sound
10 and near the point itself, Possession Point.

11 These data are not earth-shaking, but we do
12 see that there is some reduction in the three days of mill
13 closure.

14 On July 6 you will note sulfite waste liquor
15 values parts per million were running 4 and 5 parts per
16 million throughout these five stations. This is compared
17 with the mean sulfite waste liquor found at these very same
18 stations throughout the study, and you will note that these
19 mean values are somewhat higher.

20 Then in the columns on the right the per-
21 cent abnormal is shown for July 6, and you will note that
22 they drop down to 2.9, about 3 percent, at the highest and
23 as low as 1 percent. The mean, however, for these same
24 stations, as you will note, is considerably higher.

25 Now, we did not omit data because it wasn't

MARVIN ALLUM

1
2 favorable to our cause here. Again we are faced with a
3 problem of picking up the samples, to begin with, and,
4 secondly, using only those samples in which the salinity
5 was 20 parts per thousand or more, since lower salinities
6 in themselves do affect the larvae. So the fact that
7 only these five stations are shown does not reflect a
8 selection of data to present a picture, but only that
9 these were the only comparable stations we had data for at
10 both times.

11 (Slide FG-37)

12 Then moving out on the strait to the Port
13 Angeles area, we see the results of our over-all study.
14 Off there (indicating) and off the range of this map is
15 Fresh Water Bay, which was one of our so-called control
16 stations, and you will note that the over-all percent
17 abnormal here are less than 2 percent and the over-all
18 mean sulfite waste liquor was less than 1 part per million.

19 Moving in then closer to Port Angeles
20 itself, another sort of control station about a mile off
21 Ediz Hook, we have an average of less than 2 percent
22 abnormal and an average sulfite waste liquor mean of 1
23 part per million.

24 Then at the tip of Ediz Hook we have 2
25 percent abnormal and a little over 3 parts per million

MARVIN ALLUM

1 sulfite waste liquor.

2
3 Going then to the west end of the harbor,
4 we have about 82 percent and 250 parts.

5 Moving then toward the center of the harbor,
6 62 percent and 128 parts.

7 Then near the Rayonier mill we have an
8 average of 90 percent abnormal and an average sulfite
9 waste liquor value of 1,370 parts.

10 Then on the other side of the mill we have
11 95 percent abnormal and an average concentration of sul-
12 fite waste liquor of 3,365 parts per million.

13 Moving then on out towards Dungeness Spit,
14 at this point we have almost 87 percent abnormal and 270
15 parts per million.

16 A little bit further out, 79-1/2 percent
17 and 33 parts per million sulfite waste liquor.

18 A little further out 32 percent and 15 parts.

19 (Indicating) 6.2 and about 9 parts.

20 And finally at the tip (indicating) 9 and
21 about 1 part.

22 (Slide FG-38)

23 Now let's take a look at the situation
24 during the mill closure. These samples were taken about
25 11 days after the mills were closed by the strike.

MARVIN ALLUM

1
2 Again over in Fresh Water Bay not much
3 change, about a half a percent and 0 sulfite waste liquor.

4 We could not land at that point because of
5 the rough seas.

6 At the tip of Ediz Hook we again encountered
7 the same problem.

8 By getting inside the bay then at this point
9 (indicating) we had 1 percent abnormal and less than 1 part
10 per million of sulfite waste liquor.

11 Near the center of the harbor (indicating)
12 we had a half percent abnormal and 0 sulfite waste liquor.

13 We did not get data at that point (indi-
14 cating).

15 At that point (indicating) we had 1.3 per-
16 cent and 0 sulfite waste liquor.

17 And continuing on out toward the tip of
18 Dungeness Spit, about a half a percent and 0 (indicating).

19 A little over 1 percent (indicating) and 0.

20 (Indicating) About a half a percent and 0.

21 (Indicating) About 1 percent and less than
22 1 part per million of sulfite waste liquor.

23 And at the tip of Dungeness Spit (indicating)
24 about 2 percent and less than 1 part per million of sulfite
25 waste liquor.

MARVIN ALLUM

1
2 Now, examining carefully these data collected
3 during mill closure, it is interesting to note that con-
4 trary to the contention of many of the workers in this
5 particular field that the sulfite waste liquor concentrations
6 of 10 parts per million or less represent background values
7 or, in other words, are attributable to some substance
8 other than sulfite waste liquor. You can, of course, note
9 that sulfite waste liquor values fell to zero or nearly so
10 in all of the areas in which production was stopped during
11 the strike. You will also note that larva abnormalities
12 fell to zero or nearly so in all of the areas in which
13 production ceased.

14 Now let's take a look at some of the data
15 obtained from the waste sample study, and here we are
16 trying to determine the relative toxicity of the various
17 streams within each of the mills.

18 (Slide FG-39)

19 In the manner described before, the amount
20 of dilution required for each waste stream to dilute it
21 to the point where it would not affect oyster larvae was
22 calculated. These values are given in the right-hand
23 column.

24 And for the Georgia-Pacific Mill at Belling-
25 ham you will note that the alcohol plant effluent would

MARVIN ALLUM

1
2 require about 85,000 cubic feet per second to dilute it to
3 the point of no damage to oyster larvae. For those of you
4 who are not familiar with the term "cubic foot per second," it
5 is a little over 600,000 gallons per day.

6 The bleach plant, as you note, about
7 41,000 cfs.

8 For pulp washing and screening, 26,800.

9 And so on in lesser amounts for other mill
10 processes.

11 The paper mill itself 820 cfs would be
12 required for dilution there.

13 The Scott Mill at Anacortes would require
14 some 877,000 cubic feet per second to dilute the material
15 to a point of no damage to the oyster larvae.

16 The Shell Oil Refinery and the Texaco Oil
17 Refinery were also tested and the total effluent required
18 for Shell 65 cfs and for Texaco Oil Refinery about 460
19 cubic feet per second.

20 Also to perhaps put this in some frame of
21 reference that may mean more to us who have worked with
22 this sort of data, the Columbia River average flow is about
23 100,000 cfs annual flow, annual mean.

24 (Slide FG-40)

25 Now in the Everett area we note that the

MARVIN ALLUM

1
2 digester from the Scott Sulfite Mill would require a
3 little over 2 million cfs dilution to render it harmless
4 to oyster larvae.

5 For the Weyerhaeuser Sulfite Mill you will
6 note that the digester wastes again are quite strong and
7 when combined with the caustic extractor wastes would
8 require about a million and a half cfs for dilution.

9 Other plant operations, as you see, are less.

10 Now, one thing that we can see here and have
11 seen before, with the Georgia-Pacific as well, is that the
12 stronger wastes are associated with the pulping process
13 and the further you get from the pulping process the
14 weaker the wastes become.

15 (Slide FG-41)

16 Now finally the Port Angeles area for the
17 Rayonier Mill, which includes pulping wastes, I am told,
18 323,000 cfs or a little over, screen room a little less,
19 the barker a little less yet.

20 Fibreboard Products' composite sewer, which
21 includes all their waste streams, 71,000-plus cfs.

22 Crown Zellerbach Company uses a somewhat
23 different process than the rest of the mills so far dis-
24 cussed in that they use mechanical pulping, and consequently
25 the wastes do not appear to be as toxic to the larvae as

MARVIN ALLUM

1
2 are the chemical pulping processes.

3 Now, this waste sample study, as I said
4 before, revealed that the most toxic components of pulp
5 and paper mill wastes are associated with the chemical
6 pulping processes. Now, interestingly enough, when the
7 data for the individual waste streams were arranged by
8 dilution ratio, in other words, much as they are here, as
9 arrayed here, much as in the cases of Rayonier where the
10 strongest is first, the next strongest second and the
11 weakest last, when the data are arrayed in this fashion
12 the sulfite waste liquor values that accompany these
13 dilution ratios do not form any particular pattern. In
14 other words, the waste requiring the most dilution may or
15 may not have had the highest sulfite waste liquor value
16 associated with it. The second strongest by dilution
17 factor may or may not have had the second highest sulfite
18 waste liquor value, and so on. Now, this suggests to us
19 that either more than one toxic component exists in the
20 wastes that were tested or that the Pearl-Benson Index for
21 sulfite waste liquor does not adequately measure whatever
22 this toxic component may be.

23 Almost everyone who has worked with pulp
24 mill wastes has found that the Pearl-Benson Index is some-
25 thing less than perfect. This, too, was our experience.

MARVIN ALLUM

1
2 However, it does indicate the presence of sulfite waste
3 liquor and recall again the levels found during the normal
4 mill operation as compared to those during the strike-
5 downs for all of the areas in which production ceased, and
6 further if sufficient samples are tested the mean or
7 average sulfite waste liquor value is, in our opinion,
8 significant.

9 In summary, the field sample study clearly
10 demonstrated the adverse effect of pulp and paper mill
11 wastes on the marine environment in that:

12 The number of abnormal larvae increased as
13 sulfite waste liquor concentrations increased.

14 The number of abnormal larvae increased as
15 the distance from each mill's discharges decreased and,
16 conversely, sulfite waste liquor increased.

17 When the mills were not operating, as
18 during the November '64 strike, larval abnormality and
19 sulfite waste liquor values dropped to near zero in the
20 strike-affected study areas, but both these parameters
21 remained at about the usual level in the Everett study
22 area where the Weyerhaeuser Mill continued at 60 percent
23 production.

24 And when production was resumed in the strike-
25 affected areas, larval abnormalities climbed immediately

MARVIN ALLUM

1
2 back to their former levels as did sulfite waste liquor
3 concentrations.

4 These studies have shown also that background
5 levels of sulfite waste liquor are essentially zero in the
6 absence of pulping wastes.

7 The studies also demonstrated that the
8 most toxic components of the total mill wastes are those
9 associated with the chemical pulping process.

10 Mr. Vlastelicia will continue the presen-
11 tation.

12 CHAIRMAN STEIN: Just a moment. May we
13 have the lights, please?

14 Before you go off--and that was a very
15 complete presentation, Mr. Allum.

16 MR. ALLUM: Thank you.

17 CHAIRMAN STEIN: I will have to ask that the
18 slides that are made available for the files be numbered
19 right on the slide, and you can use an FG number starting
20 with 1, on the frame, so when those slides are projected
21 on the screen the person examining them will be able to
22 see the number and relate it to the record.

23 I think this might be a good breaking point
24 for a recess if we are going to take the morning for the
25 Federal presentation, so we will stand recessed for ten

1 minutes.

2 (RECESS)

3 CHAIRMAN STEIN: May we continue with the
4 Federal presentation. As we sit down, Mrs. Rankin said
5 I called her Miss Hough once or twice today and people
6 wouldn't think that I knew her as well as I said I did.
7 Just for your information, Miss Hough was her maiden name
8 and she hasn't been Miss Hough for, I don't know, at least
9 ten years. That shows you how well I really do know her.

10 Mr. Poston.

11 MR. POSTON: I am going to turn the meeting
12 back to Mr. Vlastelicia, who will carry on.

13 STATEMENT OF JOHN VLASTELICIA

14 OF THE

15 FEDERAL WATER POLLUTION CONTROL ADMINISTRATION

16 MR. VLASTELICIA: Mr. Chairman, the oyster
17 larva bioassay studies just presented by Mr. Allum represent
18 one of the most exhaustive such studies ever conducted to
19 evaluate the effects of sulfite waste liquor on developing
20 marine organisms. The findings lay the groundwork on
21 which to define abatement recommendations, particularly
22 the finding that a toxicity threshold exists as sulfite
23 waste liquor concentrations increase beyond about 10 parts
24 per million, and also worth noting, I think, again, is the
25 essential disappearance of oyster larvae abnormality with

JOHN VLASTELICIA

1
2 a cessation in pulp mill operations, such as during the
3 labor strike.

FLATFISH STUDIES

4
5 Now, the Project also conducted similar
6 bioassay studies using the eggs of English sole, a com-
7 mercially important flatfish of Puget Sound. The English
8 sole, along with many other important species of flatfish,
9 and other fishes as well, hake, codfish, and so on, spawn
10 in the shallower bays of Puget Sound. The eggs of these
11 fishes float after hatching and subsequent embryonic and
12 larval development takes place in the near-surface waters.
13 Flatfish egg occurrence studies demonstrated that sub-
14 stantial numbers of these eggs are found in the zones of
15 chronic pollution in both the Bellingham and Everett study
16 areas.

17 The English sole egg bioassay study was
18 conducted at the University of Washington's Friday Harbor
19 laboratory in a manner very similar to the waste sample
20 portion of the oyster larva bioassays. English sole eggs
21 were fertilized in the laboratory and incubated in dilutions
22 of sulfite waste liquor ranging in concentrations from
23 6 parts per million to 1,000 parts per million. After
24 incubation, the eggs and larvae were examined under a
25 microscope to determine the response, either in terms of

JOHN VLASTELICIA

1 injury or retarded development to the various waste levels.

2 The results showed that sulfite waste liquor,
3 even when dilute, is damaging to English sole eggs. The
4 effects range from the ultimate damage of killing the egg
5 to the relatively subtle damage of delaying hatching time.
6 Significant damage was rarely seen in sulfite waste concen-
7 trations of 6 parts per million but always seen in 14 parts
8 per million and this indicates some sort of a toxicity
9 threshold of about 10 parts per million or very similar
10 to that for the oyster larva bioassay studies.
11

OTHER BIOLOGIC STUDIES

12 There were other important biological
13 studies conducted by the Project. Studies of adult and
14 juvenile oysters showed that oyster mortalities increased,
15 and the growth rate and market quality decreased, with
16 proximity to the waste source. Phytoplankton productivity
17 studies showed a definite productivity suppression in the
18 zone of acute pollution. Phytoplankton, as you know,
19 produced some of the desirable dissolved oxygen content
20 of these waters. Studies were made of the zooplankton,
21 the minute marine animals, of the area, and of the
22 periphyton, these tiny marine organisms, both plant and
23 animal, which attach themselves to rocks and logs. Surveys
24 were made to assess the bacteriological quality of study
25

1 JOHN VLASTELICIA

2 areas. Surveys were made to determine waste characteris-
3 tics of certain industries other than pulp and paper mills,
4 and of municipal waste discharges.

5 Now, so far this morning we have summarized
6 the general work and findings of the Washington State
7 Enforcement Project. Let's now consider the specific
8 polluttional effects in each of the four study areas and the
9 requirements to abate those effects.

10 AREA EVALUATIONS AND ABATEMENT

11 RECOMMENDATIONS

12 In preview, as we go from area to area and
13 from mill to mill, much of the following part of today's
14 presentation will seem quite repetitious, but this will
15 serve two purposes. First for you and for the Conference
16 record it will outline specifically just what the findings
17 are for each area and for each mill. And secondly, it
18 should illustrate, I think, the universality, if I can say
19 that, of the polluttional effects of pulp and paper mill
20 wastes in this area and in the abatement requirements.

21 We will first consider the Bellingham study
22 area.

23 BELLINGHAM

24 The Georgia-Pacific Corporation's pulp,
25 board, and paper mill located on Whatcom Waterway is the




FIGURE #1 Puget Sound - General study area.

JOHN VLASTELICIA

1
2 principal source of wastes present in waters of the
3 Bellingham study area. These wastes discharge directly
4 into Whatcom Waterway adjacent to the mill and are found
5 dispersed in near-surface waters throughout the Bellingham-
6 Samish Bay system, on occasion even in the Anacortes area
7 some 12 to 14 miles distant.

8 Our studies demonstrated that waste levels
9 present in the system are excessively damaging to the
10 indigenous marine community. These damages are essentially
11 of two specific types:

12 First, those of an acute nature, occurring
13 mainly in the Bellingham Harbor area and associated with
14 concentrated sulfite waste liquors and settleable solids
15 bearing wastes discharged into Whatcom Waterway;

16 And secondly, those damages of a more
17 chronic nature occurring throughout the outer waters of
18 the Bellingham-Samish Bay system and associated with dilute
19 concentrations of sulfite waste liquors.

20 In Bellingham Harbor, waste discharge
21 from the Georgia-Pacific mill results in high waste con-
22 centrations, sludge deposits, and attendant water quality
23 degradation. Specifically, the wastes have been shown to:

24 First, be injurious to juvenile salmon,
25 resulting in extensive damage to the salmon fishery while

JOHN VLASTELICIA

1 juveniles are migrating through the harbor area.

2 Secondly, they have been shown to suppress
3 phytoplankton activity in the harbor.

4 And third, they have been shown to contain
5 settleable waste solids, some 18 tons per day, that form
6 sludge deposits in Bellingham Harbor. These deposits
7 damage bottom organisms and produce harmful water quality
8 degradation, as well as cause general aesthetically un-
9 attractive conditions.

10 Of even greater importance to the marine
11 communities of the study area are the concentrations of
12 sulfite waste liquor found dispersed throughout the
13 Bellingham-Samish Bay system. We have previously shown
14 that these wastes, even in relatively dilute concentrations,
15 say 5 to 15 parts per million, are damaging to immature
16 forms of indigenous fish and shellfish, with such damages
17 generally decreasing with distance from the waste source.
18 Specifically, our studies have shown this:

19 One, that they damage oyster larva throughout
20 the Bellingham area, with excessive damage produced in
21 northern Bellingham Bay.

22 Two, that they cause some adult and juvenile
23 oyster mortality, particularly in Bellingham Bay, but more
24 importantly, they adversely affect oyster growth and market
25

JOHN VLASTELICIA

1
2 condition throughout the Bellingham-Samish Bay system.

3 And third, they have been shown to damage
4 English sole eggs which are seasonally present in the
5 surface waters throughout this study area. Extensive
6 damage would be expected at waste levels found in northern
7 Bellingham Bay, with lesser damages expected in the remainder
8 of the Bellingham-Samish Bay system.

9 The physical characteristics of the
10 Bellingham-Samish Bay system severely limit its ability
11 to assimilate large inflows of waste products. To prevent
12 additional damages to the important marine resources, it is,
13 therefore, necessary that sulfite waste liquors discharged
14 by Georgia-Pacific Corporation be reduced significantly
15 at the source. Minimum protection of the organisms during
16 their most sensitive life stages requires that sulfite
17 waste liquor concentrations in the surface 50 feet of water
18 not exceed 10 parts per million beyond an initial waste
19 dispersion zone. The initial waste dispersion zone
20 suggested by the Project for Bellingham area is defined
21 as that area of Bellingham Bay north of an east-west mag-
22 netic line from Post Point to Lummi Peninsula. This encom-
23 passes about 16 square miles of the northernmost part of
24 Bellingham Bay.

25 In other studies, bacterial studies demonstrated

JOHN VLASTELICIA

1
2 that the discharge of raw and partially treated domestic
3 wastes from the City of Bellingham results in bacterial
4 concentrations in the Bellingham Harbor hazardous to
5 human health.

RECOMMENDATIONS

6
7 To provide abatement of pollution occurring
8 in Bellingham Harbor and throughout the Bellingham-Samish
9 Bay system, the Project recommends this:

10 For Georgia-Pacific pulp, board and paper
11 mill, five recommendations: First, provide primary treat-
12 ment of all solids-bearing wastes to obtain removal of
13 all settleable solids and to obtain 70 percent removal of
14 volatile suspended solids.

15 Second, to provide for a reduction in the
16 discharge of sulfite waste liquor solids by that degree
17 necessary to achieve the recommended levels of water
18 quality in the Bellingham study area. That is a maximum
19 of 10 parts per million sulfite waste liquor in the surface
20 50 feet of depth beyond the initial waste dispersion zone.

21 Third, that they construct a submarine out-
22 fall equipped with an adequate diffuser to permit discharge
23 of all residual wastes outside the confines of Whatcom
24 Waterway into a depth of not less than 25 feet, measured
25 at mean lower low water.

1 JOHN VLASTELICIA

2 Fourth, that they remove, by dredging,
3 the existing accumulation of sludge in the harbor and
4 dispose of this material on land.

5 Fifth, that they modify their chip-barge
6 unloading operations to eliminate spillage of wood chips.

7 Recommendations for the City of Bellingham:

8 First, to provide for collection of wastes
9 discharged by the Fairhaven sewer and other unintercepted
10 discharges.

11 And second, to provide secondary treatment
12 and effluent chlorination at the present primary/site with
13 effluent discharge beyond the confines of Whatcom Waterway.

14 As concerns the City of Bellingham, addi-
15 tional studies are now under way by the Water Pollution
16 Control Commission which are designed to further define
17 the treatment needs. Initial information indicates that
18 primary treatment with effluent chlorination and deep
19 water outfall may adequately protect all other water uses.

20 This concludes the findings and recommen-
21 dations for the Bellingham area.

22 ANACORTES

23 In the Anacortes study area, the Scott Paper
24 Company pulp mill located in Anacortes is the principal
25 source of wastes now discharged to Guemes Channel. Pulping

JOHN VLASTELICIA

1
2 wastes are pumped to the Channel from the mill site located
3 on Padilla Bay. The tidal currents in Guemes Channel
4 provide conditions which are well suited to assimilate
5 residual wastes discharges. However, pulping wastes dis-
6 charged by the Scott Paper Mill adversely affect water
7 quality in the immediate waste dispersion zone. This
8 effect can be significantly reduced by extending the out-
9 fall and diffuser section to a greater depth, thereby
10 providing a greater initial dilution. Settleable solids
11 materials in the waste discharge, some five tons per day,
12 probably do not all settle in the vicinity of the dis-
13 charge, but are carried to outer channel limits and deposited.
14 Nevertheless, removal of these materials should be a
15 prerequisite prior to discharge to coastal waters.

16 Fish processing wastes are discharged into
17 Guemes Channel by Fishermen's Packing Corporation and
18 Sebastian Stuart Fish Company on a seasonal basis. The
19 wastes discharged contain significant quantities of
20 settleable solids.

21 Domestic wastes from the City of Anacortes
22 receive primary treatment plus chlorination prior to dis-
23 charge into Guemes Channel.

RECOMMENDATIONS

24
25 To provide abatement of pollution now

JOHN VLASTELICIA

1
2 occurring in Guemes Channel and to utilize the Channel's
3 waste dispersal properties, without damage to other uses,
4 the Project makes these recommendations for the Scott
5 Paper Company:

6 First, that they provide primary treatment
7 of all solids-bearing wastes to obtain removal of all
8 settleable solids and 70 percent removal of volatile
9 suspended solids.

10 Second, that they extend the present waste
11 outfall line, equipped with an adequate diffuser section,
12 into Guemes Channel to a depth of not less than 50 feet,
13 measured at mean lower low water.

14 And third, that they provide necessary
15 additional pumping and/or discharge facilities to insure
16 that no bypassing of wastes occur into Padilla Bay.

17 For Sebastian Stuart Fish Company the
18 Project recommends:

19 That they provide facilities to discharge
20 all wastes to the City of Anacortes sewer system for treat-
21 ment at the City's sewage treatment plant.

EVERETT

22
23 In the Everett study area, the principal
24 sources of wastes discharged to the Everett Harbor and
25 Port Gardner are the Weyerhaeuser Company sulfite pulp

JOHN VLASTELICIA

1 mill and the Scott Paper Company pulp and paper mill.
2 Concentrated pulping wastes from these two operations are
3 discharged through a deep-water outfall to Port Gardner,
4 while large volumes of log-barking, pulp-washing, bleach-
5 ing, and paper-making wastes are discharged to Everett
6 Harbor immediately adjacent to the two mills. A portion
7 of these latter wastes receive primary treatment prior
8 to discharge.
9

10 Our studies have shown that damages result-
11 ing from these discharges are again of two types:

12 Those associated with or caused by the dis-
13 charge of large volumes of solids-bearing wastes, some
14 31 tons per day, discharged to Everett Harbor adjacent to
15 the mills. These solid wastes occasionally contain toxic
16 chemicals.

17 And secondly, there are those damages
18 resulting from the toxic effects of the sulfite waste
19 liquor itself when diluted and dispersed throughout the
20 surface waters of the Port Gardner, Possession Sound,
21 Port Susan and Saratoga Passage.

22 Specifically, these discharges have been
23 shown to:

24 One, cause injury or mortality to juvenile
25 salmon migrating through Everett Harbor.

JOHN VLASTELICIA

1
2 Two, cause extensive bottom sludge deposits
3 which produce toxic concentrations of sulfides in the
4 adjacent waters. This is damaging to fish and bottom
5 organisms and results in over-all aesthetically unattrac-
6 tive conditions in the harbor.

7 And three, the wastes have been shown to
8 cause suppression of phytoplankton activity in the Everett
9 Harbor area.

10 The concentrations of sulfite waste liquor
11 found in the surface waters throughout the study area
12 present an even greater threat to the indigenous marine
13 communities. These wastes in dilute concentrations,
14 again a 5 per 15 parts per million sulfite waste liquor,
15 have been shown to be damaging to larval forms of fish and
16 shellfish found in this area.

17 The Project studies have shown that such
18 wastes:

19 Produce damages to developing English sole
20 eggs found throughout the surface waters of Port Gardner
21 and Everett Harbor. Extensive damage or mortality would
22 be expected in and adjacent to Everett Harbor, with the
23 degree of damage decreasing with distance from the waste
24 source.

25 They have also been shown to produce

JOHN VLASTELICIA

1
2 extensive damage to oyster larvae. Similar damages would
3 be expected to occur to other indigenous shellfish, as
4 indicated by observed damages to the sessile intertidal
5 organisms.

6 To prevent additional damages and to provide
7 minimum protection of these organisms during their most
8 sensitive life stages, it again is required that sulfite
9 waste liquor concentrations not exceed 10 parts per million
10 in the surface 50 feet of depth beyond an initial waste
11 dispersion zone. The initial waste dispersion zone sug-
12 gested by the Project is defined as that area of Everett
13 Harbor and Port Gardner enclosed within a one-and-a-half
14 mile radius from the southwestern tip of the harbor. This
15 area encompasses some six square miles.

16 Wastes from the Simpson Lee Company sulfate
17 pulp mill are discharged into the Snohomish River some 10
18 miles upstream from its mouth. This mill is relatively
19 small but discharges significant quantities of settleable
20 solids materials that contribute to the extensive bottom
21 sludge deposits found adjacent to the mouth of the
22 Snohomish River.

23 The City of Everett's domestic wastes are
24 treated in a waste stabilization pond and then discharged
25 into the Snohomish River at a point three and a half miles

JOHN VLASTELICIA

1
2 upstream from the mouth. Bacteriological studies in the
3 river have shown that bacterial concentrations now approach,
4 and at times exceed, those levels recommended by the
5 Washington State Water Pollution Control Commission.

6 Intermittently high bacterial counts have been observed
7 in Everett Harbor.

RECOMMENDATIONS

8
9 To provide abatement of the pollution now
10 occurring in Everett Harbor and the Port Gardner system,
11 as just mentioned, these recommendations are made:

12 For Scott Paper Company five recommendations:

13 1. Provide primary treatment of all solids-
14 bearing wastes to obtain removal of all settleable solids
15 and 70 percent removal of volatile suspended solids.

16 2. Provide for a reduction in the sulfite
17 waste liquor solids discharged to and found in the surface
18 waters of the study area. These reductions should be
19 sufficient to achieve the recommended levels of water
20 quality, that is a maximum of 10 parts per million SWL in the
21 surface 50 feet of depth beyond the initial waste dispersion
22 zone.

23 3. Construct a submarine outfall equipped
24 with adequate diffuser to permit discharge of all residual
25 wastes outside of Everett Harbor.

JOHN VLASTELICIA

1
2 4. Remove, by dredging, the existing
3 accumulation of sludge in the harbor and dispose of such
4 material on land.

5 5. Modify chip-barge unloading operations
6 to eliminate all spillage of wood chips.

7 For Weyerhaeuser Company Sulfite Mill, five
8 similar recommendations:

9 1. Provide primary treatment of all solids-
10 bearing wastes to obtain removal of all settleable solids
11 and 70 percent removal of volatile suspended solids.

12 2. Provide for a reduction in the sulfite
13 waste liquor solids discharged to and found in the surface
14 waters of the study area. These reductions again should
15 be sufficient to achieve the recommended levels of water
16 quality.

17 3. Construct a submarine outfall equipped
18 with an adequate diffuser to permit discharge of all
19 residual wastes outside of Everett Harbor.

20 4. To remove, by dredging, the existing
21 accumulation of sludge in the harbor and to dispose of
22 this material on land.

23 And 5, modify chip-barge unloading
24 operations to eliminate all spillage of wood chips.

25 For the Simpson Lee Company one recommendation,

JOHN VLASTELICIA

1
2 and that is to provide primary treatment of all solids-
3 bearing wastes to obtain removal of all settleable solids
4 and 70 percent removal of volatile suspended solids.

5 For the City of Everett one recommendation:
6 Washington Water Pollution Control Commission should con-
7 duct additional bacteriological studies to determine when
8 chlorination of the City of Everett's waste stabilization
9 pond effluent will be required.

PORT ANGELES

10
11 In the Port Angeles area there are two
12 principal sources of pulp mill wastes, the Fibreboard
13 Paper Products Corporation pulp and board mill located on
14 the south shore at the inner end of Port Angeles Harbor,
15 and the Rayonier Incorporated pulp mill located on the
16 south shore at the harbor entrance. Both mills discharge process
17 wastes directly to the harbor surface waters. Of the two
18 mills Rayonier Incorporated is by far the more significant
19 waste source. It contributes about 92 percent of the
20 combined discharges of sulfite waste liquor, COD, BOD₅
21 and total solids. Wastes from these mills are found through-
22 out Port Angeles Harbor, particularly in the southern por-
23 tion, and eastward near shore as far as Dungeness Spit,
24 some 12 miles from the harbor entrance.

25 Another mill, the Crown Zellerbach

JOHN VLASTELICIA

1 Corporation mechanical pulp and paper products mill,
2 located at the inner end of the harbor, discharges its
3 waste directly into the Strait of Juan de Fuca. Except
4 for some transient local collection near the outfall,
5 these wastes generally are dispersed seaward by Strait
6 currents and thus are not predominant in the main study
7 area of the harbor. However, during past years the now-
8 discontinued Crown Zellerbach discharge of high solids
9 wastes into the harbor substantially contributed to a
10 large sludge bed still present at the inner end of the
11 harbor.
12

13 Studies have shown that the wastes from
14 these mills are damaging to marine life in the Port Angeles
15 study area. The damages here, as in other areas, are of
16 two types:

17 One, acute damages occurring within the
18 harbor adjacent to each mill, and mainly associated with the
19 concentrated sulfite waste liquors and settleable solids
20 in the mill effluents.

21 Secondly, the chronic damages occurring
22 throughout the study area and associated with dilute
23 concentrations of sulfite waste liquor.

24 Within Port Angeles Harbor waste discharges
25 from Fibreboard and Rayonier produce high waste concentrations,

JOHN VLASTELICIA

1
2 sludge deposits from the discharge of some 21 tons of
3 solids per day, and attendant water quality degradation
4 surrounding each mill source. Also the sludge deposit
5 formed by past Crown Zellerbach discharges continues to
6 seriously degrade water quality adjacent to that mill.

7 Specifically, mill waste discharged into the harbor have
8 been shown to:

9 One, injure juvenile migrating salmon in
10 the harbor area.

11 And secondly, form sludge deposits which
12 damage benthic organisms, produce harmful water quality
13 degradation, and result in general aesthetically unattrac-
14 tive conditions.

15 Of greater importance to marine life in the
16 study area, however, is the presence of dilute sulfite
17 waste liquor in waters throughout the Port Angeles study
18 area from Fibreborad and from Rayonier. Such wastes, even
19 at the low concentrations, 10 parts per million, have been
20 found harmful to immature forms of fish and shellfish.

21 Bioassay studies in the Port Angeles area show that
22 extensive damages occur to oyster larva at waste levels
23 found in surface waters of the harbor and eastward along-
24 shore to Dungeness Spit. On the basis of other bioassay
25 studies reported for Bellingham and Everett it may also be

JOHN VLASTELICIA

1
2 concluded that these waste levels are damaging to a wide
3 variety of important marine life found in the affected
4 portion of the Port Angeles study area, including damages
5 to crabs, clams, sole, cod, anchovy, so forth.

6 The waste assimilation capacity of Port
7 Angeles study area is seriously limited by the presence
8 of a large slow-moving predominantly anti-clockwise eddy
9 circulation of water between Port Angeles Harbor and
10 Dungeness Spit. This eddy tends to confine Fibreboard
11 and Rayonier mill wastes to shallower waters along shore
12 before eventually dispersing them into the Strait of Juan
13 de Fuca. This results in harmful concentrations of sulfite
14 waste liquor throughout the eddy. Inadequate depth in the
15 eddy area precludes a reasonable relocation of the mill
16 outfalls within the eddy system in order to secure
17 acceptable waste dilution. This is particularly true of
18 the Rayonier mill, because of its large volume of waste
19 discharge.

20 Therefore, to prevent further damage to the
21 marine resources of the Port Angeles study area it will be
22 necessary to significantly reduce sulfite waste liquors
23 at the source. Minimum protection of the marine biota
24 during their most sensitive life stages requires that sulfite
25 waste liquor concentration again not exceed 10 parts per

JOHN VLASTELICIA

1
2 million in the surface 50 feet of water beyond the initial
3 dispersion zone, and here the initial waste dispersion
4 zone suggested by the Project is defined as all that area
5 within Port Angeles Harbor as well as an adjacent area
6 on the east bounded by a one-and-a-half mile radius about
7 Rayonier mill. This dispersion zone encompasses about
8 five square miles.

9 The City of Port Angeles presently dis-
10 charges all of its domestic wastes untreated into Port
11 Angeles Harbor. As a result, more than two miles of the
12 city's waterfront is bacterially contaminated for water
13 contact use. Also this waste source contributes sub-
14 stantial BOD and settleable solids loading to
15 the harbor. Protection of those persons engaged in con-
16 tact use of these waters requires immediate abatement of
17 this source of pollution.

RECOMMENDATIONS

18
19 To provide abatement of the pollution
20 presently occurring in Port Angeles Harbor and the sur-
21 rounding area, these recommendations are made.

22 For Rayonier, Inc., four recommendations:

23 One, provide primary treatment of all
24 solids-bearing wastes to obtain removal of all settleable
25 solids and 70 percent removal of volatile suspended solids.

JOHN VLASTELICIA

1
2 Two, provide for a reduction in the dis-
3 charge of sulfite waste liquor solids by that degree
4 necessary to achieve the recommended levels of water
5 quality in the Port Angeles study area, and that is not
6 to exceed a maximum of 10 parts per million SWL in the surface
7 50 feet of water beyond the initial dispersion zone.

8 Three, that they construct a submarine out-
9 fall equipped with an adequate diffuser to permit dis-
10 charge of all residual wastes to a depth of not less than
11 50 feet measured at mean lower low water.

12 And four, to remove by dredging the
13 existing accumulation of sludge adjacent to the point
14 of waste discharge and to dispose of such material on
15 land.

16 For Fibreboard Paper Products Corporation
17 three recommendations:

18 That they provide primary treatment of all
19 solids-bearing wastes to obtain removal of all settleable
20 solids and 70 percent removal of volatile suspended solids.

21 Two, that they construct a submarine out-
22 fall equipped with an adequate diffuser to permit dis-
23 charge of all residual waste to a depth of not less than
24 50 feet measured at mean lower low water.

25 And three, to remove by dredging the

JOHN VLASTELICIA

1
2 existing accumulation of sludge in the harbor adjacent to
3 the point of waste discharge and to dispose of such material
4 on land.

5 For Crown Zellerbach Corporation three
6 recommendations:

7 Again provide primary treatment of all
8 solids-bearing wastes to obtain removal of all settleable
9 solids and 70 percent removal of volatile suspended solids.

10 Construct a submarine outfall to permit
11 discharge of all residual wastes to a depth of not less
12 than 30 feet measured at mean lower low water in the
13 Strait of Juan de Fuca.

14 And three, to remove by dredging the
15 existing accumulation of sludge adjacent to the mill in
16 Port Angeles Harbor and to dispose of such material on
17 land.

18 The City of Port Angeles, one recommendation,
19 and that is to provide for the collection of all domestic
20 wastes discharges and primary treatment and effluent
21 chlorination with discharge through a deep diffuser out-
22 fall.

23 The proceedings thus far this morning have
24 briefly stated the work and findings of the Washington
25 State Enforcement Project. The areas, the studies, the

JOHN VLASTELICIA

1
2 results and recommendations of the Project, as Mr. Kari
3 mentioned this morning, are given complete and comprehensive
4 treatment in our final report. This report has already been
5 made part of the record and it is entitled "Pollutional Ef-
6 fects of Pulp and Paper Mill Wastes in Puget Sound." This
7 report is commended to the attention of those of you in-
8 terested in Project details beyond those which we have pre-
9 sented this morning, and as earlier mentioned, copies of
10 this report are available at the State Water Pollution Con-
11 trol Commission's office in Olympia and the Federal Water
12 Pollution Control Administration's office in Portland. A
13 limited number of these reports will be available at the
14 back of this room later in the day.

15 Mr. Chairman, this concludes this portion of
16 our presentation. Mr. Kari has a brief summary to present.

17 CHAIRMAN STEIN: In order to save a little
18 time and for the purpose of clarification, while you are up
19 here, may I ask one question?

20 On page 23 of your report concerning the
21 Anacortes area, you talk about fish processing wastes that
22 are discharged by Fishermen's Packing Company and Sebastian
23 Stuart Fish Company. Then on Page 24 you have recommendations
24 for Sebastian Stuart Fish Company only and none for Fishermen's
25 Packing Corporation. Why is that?

1 EARL N. KARI

2 MR. VLASTELICIA: Mr. Kari?

3 MR. KARI: I think it was an oversight, Mr. Stein.

4 CHAIRMAN STEIN: As you can readily appreciate,
5 I am not asking any probing questions at this time. But
6 before we complete the record, I suggest for clarification
7 only that you consider getting that in. We will hold the
8 record open for it.

9 Thank you.

10 (The following was subsequently provided for the
11 record by Mr. Kari: Fishermen's Packing Corporation shall pro-
12 vide facilities to discharge all wastes to the City of Ana-
13 cortes sewer system for treatment at the City's sewage treatment
14 plant.

15 MR. VLASTELICIA: Mr. Kari.

16 STATEMENT OF EARL N. KARI
17 OF THE
18 FEDERAL WATER POLLUTION CONTROL COMMISSION

19 MR. KARI: Thank you, Mr. Vlastelicia.

20 SUMMARY

21 You have heard a rather complete summary
22 of studies made in following through on the recommendations
23 of the 1962 Conference to determine the pollutional effects
24 of pulp and paper mill wastes in Puget Sound. Four years
25 of intensive and objective studies have produced the most
thorough analysis yet made of the effects of sulfite pulp

EARL N. KARI

1
2 mill wastes on marine life and the environment. These
3 studies demonstrate that untreated sulfite mill wastes
4 have caused, and continue to cause, substantial damage
5 to the Puget Sound fisheries, including both the shell
6 and fin fish and the marine environment on which these
7 fisheries depend.

8 If we intend to abate pollution in Puget
9 Sound so that these waters will be suitable for all uses
10 to which they are put, then all damaging wastes, industrial
11 and domestic, must be subjected to treatment. The people
12 of the pulp and paper mill communities have recognized
13 this fact. These communities provide generally acceptable
14 waste treatment facilities, except for the City of Port
15 Angeles where construction of a primary treatment facility
16 is now pending.

17 The day has passed when untreated or in-
18 adequately treated man-produced wastes are discharged
19 wholesale into public waters with damaging effects. We
20 can protect the environment for shellfish if the waters
21 of Puget Sound contain not more than 10 parts per million
22 of sulfite waste liquor. This will also protect and
23 preserve the aquatic environment for indigenous fin fish.

24 Since the study recommends that these
25 requirements need not be met in certain limited areas

1 EARL N. KARI

2 near pulp and paper mill outfalls, this remedial program,
3 it is believed, will be capable of accomplishment by the
4 pulp and paper mills within existing resources and tech-
5 nology. With this program we can have fin and shellfish
6 and the pulp and paper industry side by side in the Puget
7 Sound area. The water quality conditions prescribed above
8 will permit both to grow and expand and provide a unique
9 recreational resource for the people of Washington.

10 The specific treatment needed for the wastes
11 from these seven Puget Sound sulfite pulp mills is set
12 forth mill by mill in the recommendations you have heard.
13 The gross discharge of some 72 billion gallons a year of
14 largely untreated wastes equivalent to a raw discharge
15 from 12 million people must be subjected to treatment.

16 New industries are being directed by most
17 states to provide a degree of treatment that will protect
18 all legitimate water uses. These new industries are
19 complying with these directives and installing sophisticated
20 waste treatment facilities. Examples of this enlightened
21 industry response are found at the Kimberly-Clark mill in
22 California, the Weyerhaeuser mill in Oregon, and the
23 Kamloops mill in British Columbia.

24 For the most part, sulfite/^{pulp}mills are older
25 mills which are few in number. There are some 365/^{pulp}mills

1 EARL N. KARI

2 in the United States. Only 55 of these use the sulfite
3 process, with nearly one-fourth of these being in the
4 State of Washington.

5 Sulfite pulp mill wastes are amenable to
6 treatment. There is no technological barrier to the elimi-
7 nation of sulfite waste discharges. Where damages pre-
8 vail from untreated sulfite mill wastes, as demonstrated
9 by this study of the seven Puget Sound pulp and paper mills,
10 adequate treatment works should be built and placed in
11 operation without any undue delay.

12 There is no other choice if pollution is
13 to be prevented and the quality of Puget Sound waters
14 enhanced. It should be our goal for the protection of
15 future generations who will wish to use and enjoy this
16 valuable resource.

17 Thank you, Mr. Stein.

18 CHAIRMAN STEIN: Thank you, Mr. Kari.

19 MR. POSTON: Mr. Chairman, this concludes
20 the Federal Water Pollution Control's presentation and I
21 would hope next to call upon other Federal agencies, but I
22 think in view of the time I will turn the meeting back to
23 you.

24 CHAIRMAN STEIN: Thank you.

25 Right now we would have two proposals, one

1 to permit comments and questions on the report. And I
2 might indicate, not just for the representatives of the
3 State of Washington, but others here, we have assembled
4 in the room, as we generally do at these conferences, a large
5 variety of experts. So if we have any questions that
6 have to be clarified, we can call on them.

7 Do you have any comments at the present time
8 or questions or do you want to consult with your staff
9 first?

10 MR. HARRIS: I would suggest that be deferred
11 until after the lunch break.

12 CHAIRMAN STEIN: With that, we will plan
13 on recessing for lunch.

14 This afternoon what will be on tap are
15 comments and questions by the Conferees on the Federal
16 report, and I believe Mr. Poston has statements, relatively
17 short statements, I think, from two Federal agencies.
18 Then the time will be turned over to the State of Washington
19 for its presentation and its Invitees and we will continue
20 hearing as many people as we possibly can hear today.

21 If any of the people in their presentation
22 would want any material clarified which came up before,
23 please do not hesitate to bring that point up and we will
24 attempt to have the Project Commission or Mr. Poston
25 produce the expert or the specialist in that area and

1 perhaps he can answer your question. I think this might
2 move the issue or the case to solution in a more rapid
3 manner.

4 With that, we will stand recessed for lunch
5 until 1:45.

6 (NOON RECESS)
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

1 CHAIRMAN STEIN: May we reconvene.

2
3 Are there any comments or questions on the
4 Federal report? Mr. Poston.

5 MR. POSTON: I wonder if Mr. Kari can
6 answer our question at this time about Sebastian Stuart
7 Fish Company at Anacortes?

8 MR. KARI: We are still checking on that.

9 MR. POSTON: Still checking on it?

10 CHAIRMAN STEIN: When you get the information,
11 let us know.

12 MR. KARI: Right.

13 MR. POSTON: If Mr. Harris has no questions,
14 I will proceed to the calling--

15 CHAIRMAN STEIN: Let's ask Mr. Harris.

16 MR. HARRIS: I would like to state at this
17 time that I have no basic questions. I would like to read
18 a statement into the record a little bit later.

19 CHAIRMAN STEIN: Thank you, Mr. Harris.

20 We will now have the other Federal agencies.
21 Mr. Poston?

FEDERAL PRESENTATION (continued)

22
23 MR. POSTON: I would like first to call upon
24 our colleague from the Department of Interior, Mr. John
25 Glude, of the Bureau of Commercial Fisheries, who was here

1 JOHN GLUDE

2 this morning and who has a statement for us.

3 STATEMENT OF JOHN GLUDE

4 OF THE

5 BUREAU OF COMMERCIAL FISHERIES

6 MR. GLUDE: Mr. Chairman, Conferees, ladies
7 and gentlemen.

8 I would like to make this statement for the
9 Pacific Northwest Region of the Bureau of Commercial
10 Fisheries. My name is John Glude and I am a Deputy
11 Regional Director.

12 The fish and shellfish produced within the
13 U. S. territorial and fisheries limits are of great im-
14 portance to the people of the United States. These
15 products are used for human food, industrial products,
16 and in the nutrition of animals which are subsequently
17 used for human food.

18 The per capita utilization of all fishery
19 products continues to rise, and during the period 1950 to
20 1964 increased 50 percent.

21 The population trend in the United States
22 continues upward and the demand for fishery products will
23 also rise. An estimate based on conservative projections
24 of population, income, and per capita consumption indicates
25 that the total consumption of fish and fish products in

JOHN GLUDE

1
2 the United States will increase a minimum of 75 percent
3 from the current 12-billion pound level to 21 billion
4 pounds by the year 2000. If one takes into consideration
5 the anticipated increase in income in the future, improve-
6 ments in the marketing and distribution system, the develop-
7 ment of new products, improved quality and consumer
8 education, a realistic estimate of consumption of fishery
9 products increases to 27.8 billion pounds by the year
10 2000. This is about 130 percent of the present consumption.

11 Many experts have attempted to estimate the
12 potential world yield of marine fishery products, and
13 conservative figures show that we are presently utilizing
14 only a minor portion of the resources of the sea. But
15 these estimates, however, do not take into account the
16 consumer acceptance of species not presently utilized, nor
17 do they consider the geographical distribution of these
18 resources.

19 We have already experienced intensive
20 foreign competition for fishery resources along our coast,
21 it has been pretty apparent in the last couple years. We
22 are very aware of the difficulty of competing against the
23 huge government-controlled fleets of foreign nations.
24 We are becoming increasingly aware of the importance of
25 maintaining and developing fish and shellfish production

JOHN GLUDE

1
2 within our territorial waters where we can avoid the
3 problem of international competition.

4 We are most concerned, therefore, that the
5 fish and shellfish resources of Puget Sound and other in-
6 shore waters be fully utilized and that the quality of the
7 environment be protected so that the production of these
8 valuable species can be maintained.

9 It is even more important, in anticipating
10 future demand for fishery products, that the potential for
11 increasing production of inshore waters be recognized.
12 New improved methods of increasing production of fish and
13 shellfish are being developed, and many of these can be
14 applied in Puget Sound. It would be shortsighted to
15 sacrifice marine areas on the basis that they are not
16 presently being utilized for the production of fish or
17 shellfish. Indeed, we would be wise to improve the quality
18 of the marine environment in anticipation of a time in the
19 future when much of this area will be needed to produce
20 food to meet the needs of our expanding population.

21 We have followed with much interest the
22 studies during the past five years to investigate the
23 pollutional effects of pulp and paper mill wastes in Puget
24 Sound. We have met periodically with the various individuals
25 and the groups involved in these studies and we reviewed

JOHN GLUDE

1
2 the final report which they published in March of this
3 year.

4 In our opinion, this report presents an
5 excellent study of an extremely complex problem. The
6 research methods used were generally appropriate and the
7 analysis of results was well documented. The investigators
8 utilized talents of State and university scientists in the
9 Pacific Northwest in the conduct of portions of the studies
10 and in the planning of experiments and the statistical
11 analysis of the results.

12 The report presents solid scientific
13 evidence of water pollution and its cause in the study
14 areas. The variety of observations and analyses, and the
15 extended period covered by the study strengthen the con-
16 clusions. In our opinion, the report provides a factual
17 basis for recommended actions which will be necessary to
18 reduce pollution in these areas to acceptable levels.

19 We are concerned that the studies may not
20 have gone far enough in identifying the deleterious effects
21 of low concentrations of the pollutants. For example,
22 short-term experiments demonstrated that juvenile salmon
23 were killed when subjected to high concentrations of
24 sulfite waste liquor, or to adverse conditions resulting
25 from sulfides released by sludge beds, but there was no

JOHN GLUDE

1 evaluation of long-term effects of less drastic conditions.

2 In recognition of this deficiency in the
3 study we would recommend additional research to investigate
4 this aspect of the problem. We would also recommend that
5 any pollution abatement procedures be considered as
6 minimum measures, with the understanding that it may be
7 necessary to further reduce levels of pollution in the
8 light of future research.
9

10 The same criticism applies to studies of
11 the effect of the pollutants on oysters and other molluscan
12 shellfish. Long-term effects of low concentrations of
13 wastes on growth rate and fatness have not been thoroughly
14 investigated in this study. This area requires further
15 research. It may be necessary to amend standards of water
16 quality when additional knowledge provided by such experi-
17 ments becomes available.

18 We are also concerned that these studies
19 have not taken into account the changes in water quality
20 which may result from planned industrial installations in
21 or near the study areas. For example, in a recent study
22 by Battelle Northwest regarding siting of nuclear power
23 plants in the Pacific Northwest, locations on Whidby
24 Island, on the Straits of Juan de Fuca, and near Bellingham
25 were recommended. The 1,000 megawatt thermal electric

JOHN GLUDE

1
2 plants considered in the Battelle report utilize 2,000
3 cubic feet per second of water for cooling the condensers,
4 and this increases the temperature of the water thus
5 utilized by 16 degrees Fahrenheit. Major water temperature
6 increases are expected at or near the outfall areas and
7 minor increases would be detectable for some distance
8 from the outfall plume, depending upon tidal circulation.
9 Thus temperature of the salt water will become an important
10 variable to consider in the Puget Sound area in the not
11 too distant future.

12 At this very moment, fisheries agencies are
13 facing problems of thermal pollution in the Columbia River,
14 since increases in water temperature can cause detrimental
15 effects on production of salmon. The Columbia River is
16 slowly becoming marginal for the production of salmonids,
17 and water temperature plays a critical role in this
18 relationship. Hydro impoundments in this area have
19 reduced velocity of flow and have increased surface
20 acreage exposed to solar radiation. Increases in water
21 temperature during the summer months has resulted.

22 It is stongly suspected that the synergistic
23 effects of wasted heat from the Hanford complex on sublethal
24 and lethal concentrations of nitrogen gas produce a wholly
25 undesirable situation for migrating salmonids.

JOHN GLUDE

1
2 The problem of thermal pollution may be
3 further complicated by the installation of three more
4 thermal (nuclear) electric plants on the Columbia River
5 from Hanford to Longview, Washington by 1985. The three
6 sites selected have been recommended for development from
7 3,000 MW initially to 9,000 MW when completed. If direct
8 cooling of the condensers by river water is carried out at
9 these plants, some 6,000 to 27,000 CFS of water could be
10 utilized at some future date.

11 We are concerned that any thermal electric
12 plants that are installed in the future in the Columbia River
13 would increase the detrimental effect to both commercial and
14 non-commercial species of fish. Research is now under way to
15 establish a description of the problem at each potential site.

16 In the marine environment, an increase in
17 temperature in areas where there are layers of sludge could
18 cause an increase in the production of toxic sulfides. This
19 could aggravate an already serious condition at several lo-
20 cations within the study area. It is important, therefore,
21 to take into consideration the effects of changed temperature
22 and other factors such as this. It does not appear that this
23 aspect has been adequately covered in the report.

24 There remains the possibility that changes
25 in temperatures could have a beneficial effect on the

1 JOHN GLUDE

2 production of shellfish in the study areas. The intro-
3 duction of thermal electric plants could increase water
4 temperature to a degree that would improve the chances of
5 successful reproduction and make these areas even more
6 valuable for culture of shellfish. The opportunity to
7 modify the environment in a favorable direction must also
8 be recognized in the planning for industrial developments.

9 In summary, the deficiencies of this report are
10 that the investigators have not gone far enough in identifying
11 toxic effects of low concentrations of pollutants over long
12 periods of time, nor have they considered the effects of other
13 industrial developments planned for these areas. Nevertheless,
14 the studies provide a sound basis for interim measures which
15 will greatly improve the existing situation.

16 The recommendations included in the report are
17 well founded and appear feasible. We would urge their adoption
18 as minimum measures necessary to protect the marine environ-
19 ment in the study areas.

20 Thank you.

21 CHAIRMAN STEIN: Thank you, Mr. Glude. Are
22 there any comments or questions?

23 As I understand the thrust of your statement,
24 you have concluded that the investigators in the Federal Water
25 Pollution Control Agency have come up with what might be the

1 JOHN GLUDE

2 irreducible minimum, and you want them to go farther?

3 MR. GLUDE: Yes, we do.

4 CHAIRMAN STEIN: We have been working very close-
5 ly with the Fish and Wildlife Service, especially since we have
6 been in the Department of the Interior. As a matter of fact,
7 next week I am going out to Chicago with Mr. Poston's distin-
8 guished brother, who is the Regional Director in Chicago,
9 working on the Alewife, and we would hope that the key represen-
10 tative there of the Department of Interior will be a member of the
11 Bureau of Commercial Fisheries. As a matter of fact, we expect
12 Dr. Smith to be out.

13 More and more as we work on these problems I
14 think we have to recognize a close relationship with the Fish
15 and Wildlife Service, Bureau of Sport Fisheries and Wildlife
16 and the Bureau of Commercial Fisheries, and I think your own
17 point is well taken. We have a proposed study in Maine now on
18 the production of lobster. Evidently the mean temperature in the
19 Maine waters has dropped seven degrees over the past several years
20 for reasons unknown to us. We do have a power generator on an
21 island in Casco Bay off Portland, and the notion was that we would
22 see if we could heat up some of the water--whether that may bring
23 the lobsters to maturity. I know you people here are so involved
24 with your own indigenous fish that you probably haven't been keeping
25 track of eastern lobster prices, but they have gone up and up, and

1 the problem is, with these cold waters, the lobsters take many
2 more years. With the reduction in temperature they take many
3 more years to arrive at maturity and the prices have gone up.

4 So I think when we deal with a problem such as
5 thermal pollution, this may work two ways. In some areas, as you
6 very well point out in your report, this may be an advantage.

7 The problem that we have been faced with with
8 fisheries is that for the most part, and this may be a little
9 different with the oysters, the fisheries have not been a managed
10 resource the way we manage agricultural products. It is gen-
11 erally a harvesting of a wild resource, a little more sophis-
12 ticated, except in methods of capture, than the pioneers used
13 to do when they used to trap or hunt game.

14 In addition to the problems you point out that
15 we definitely have with these government-subsidized fleets
16 from other areas which have to increase the harvest from the
17 marine environment or really face severe economic problems,
18 the notion is that if we can get our fishery resource to be
19 managed as scientifically as we do some of our other food
20 products, we can greatly increase the area of productivity.

21 Again, as Mr. Glude points out, one of our greatest
22 resources is Puget Sound. These are clearly American waters, these
23 are clearly within our province, and anything we can do here can
24 be not only a great economic benefit to the region, but a great
25 economic benefit to the country as a whole.

1 Are there any further questions or comments?
2 Do you want to say anything?

3 MR. GLUDE: Thank you very much for your
4 comments. I certainly agree with you. We have seen the
5 extremely serious pollution in Lake Erie, some other
6 places, places in the world that we never even think of
7 as being serious. I had a discussion with the Swiss
8 consulate recently, and even in Switzerland, we think of
9 the Alps as being free and pure, free from pollution,
10 yet even there there are extremely serious problems in
11 pollution. I think we should recognize the serious
12 problems that can develop in the future.

13 Those of us who have seen the East Coast
14 recognize it. We are proud of the clean water in Puget
15 Sound and, of course, we would like to keep it that way.

16 CHAIRMAN STEIN: Right.

17 Let me go off the record a second.

18 (Off the record.)

19 CHAIRMAN STEIN: Now, I recognize this is
20 not going to be easy. I recognize that sometimes when
21 we speak of tremendous expenditures of funds and we talk
22 about hundreds of millions of dollars and these are
23 public expenditures of funds, you have one thing, but I
24 also recognize when we speak in terms of millions of
25 dollars and these may be private funds or industrial funds

1 that have to be spent that in the long range this may be
2 the best thing that we can all do for our own self interest
3 as well as the national interest to move ahead with the
4 problem.

5 For example, in the Great Lakes, the big
6 industries there are the petroleum industry, the petro-
7 chemical industry, and the steel industry. I think both
8 of these industries recognize that the preservation of
9 the Great Lakes as a natural water resource is essential
10 to the maintenance of the industry, and these private
11 firms have spent the money to do the job.

12 I do think in the same way here, there is
13 no industry more dependent upon the clean water in their
14 product than the pulp and paper industry. As much as
15 timber or any of the other products you have, water is
16 your essential raw material. And I think the interest
17 of the industry does not differ from the interests of the
18 fishery people, of the water pollution control people, I
19 might say even shellfish or oyster or fishery people or
20 the municipal people or the people here who want to use
21 this as a recreational resource. We all have the same
22 objective, and if we regard water as a natural resource
23 and a raw product in the industry the same as we regard
24 timber or labor or power, I think we will be far ahead.

25 I was at a meeting of the pulp and Paper

1 Association--they always have a good one; they have it
2 at the Waldorf Astoria in New York--a year or two ago,
3 and the president of the association then said if the
4 people in our industry gave as much thought to pollution
5 control and the mill managers as they do to providing
6 parking space for the employees, maybe we would be way
7 ahead. (Laughter) That is not my quote. I am quoting
8 the president of the Pulp and Paper Association.

9 Thank you.

10 MR. GLUDE: Thank you.

11 CHAIRMAN STEIN: Mr. Poston.

12 MR. POSTON: Thank you, John.

13 Until FWPCA was put in the Department of
14 Interior, the newest agency in that group was the Bureau
15 of Outdoor Recreation, and today to present a statement
16 we have their Regional Director, Mr. Fred Overly.

17 STATEMENT OF FRED OVERLY

18 OF THE

19 BUREAU OF OUTDOOR RECREATION

20 MR. OVERLY: Mr. Chairman, ladies and
21 gentlemen.

22 The Bureau of Outdoor Recreation is not a
23 land managing agency. Its responsibilities are to provide
24 a focal point and leadership in the nationwide effort to
25 meet the demands for outdoor recreation through:

FRED OVERLY

1
2 Planning which will identify actions needed
3 to protect the natural beauty of the outdoor environment
4 and to provide outdoor recreation resources to meet the
5 variety and diversity of needs of the American people.

6 Promoting coordination of Federal plans and
7 programs relating to outdoor recreation and preservation
8 of natural beauty.

9 Assisting Federal, State, local and private
10 efforts to reclaim and protect the outdoor environment
11 and provide outdoor recreation opportunities.

12 The Bureau's functions are authorized
13 principally by three statutes and an Executive Order:

14 Public Law 88-29, the Bureau's Organic Act;
15 Public Law 88-578, the Land and Water
16 Conservation Fund Act of 1965;

17 Public Law 88-72, the Federal Water Projects
18 Recreation Act of 1965; the Executive Order 11278 of May 4,
19 1966; establishing the President's Council on Recreation
20 and Natural Beauty and a Citizen's Advisory Committee on
21 Recreation and Natural Beauty.

22 These authorize the Bureau to prepare and
23 maintain a continuing inventory and evaluation of the
24 Nation's outdoor recreation needs and resources; formulate
25 and maintain a comprehensive nationwide outdoor recreation

FRED OVERLY

1
2 plan; provide technical assistance to and cooperate with
3 States, their political subdivisions, and private out-
4 door recreation interests; sponsor, engage in, and assist
5 in outdoor recreation research; promote coordination of
6 Federal outdoor recreation plans and activities; administer
7 a program of financial assistance to the States, and
8 through States to local public agencies, for planning,
9 acquiring and developing public outdoor recreation re-
10 sources; coordinate a program of recreation land
11 acquisition by the National Park Service, Forest Service
12 and Bureau of Sport Fisheries and Wildlife; provide out-
13 door recreation planning assistance at Federal water
14 projects; provide the Executive Director to the President's
15 Council on Recreation and Natural Beauty.

16 In carrying out these responsibilities the
17 biologic, chemical and aesthetic quality of water is an
18 important consideration. Water-oriented recreation is
19 significant nationwide and especially so in Puget Sound.

20 We are currently engaged in a study of the
21 recreation aspects of the water resources of the Puget
22 Sound region. We have learned for a single example that
23 there are over 186,000 pleasure boats using Puget Sound
24 and adjacent waters.

25 We operate on the principal that high

1 FRED OVERLY

2 quality water is basic to the maintenance of an attrac-
3 tive environment and to recreation. The environment we
4 enjoy in Puget Sound is exceptionally fine, but not as
5 fine as in yesteryear. There are all kinds of reasons
6 for this, including more people and more industry. However,
7 it is worthwhile to note that the economy and industry
8 itself are helped tremendously by an attractive environ-
9 ment. Recreation is a major economic force in Puget
10 Sound and in addition the opportunity to enjoy outdoor
11 recreation is a major factor in attracting a technical
12 and labor force to the northwest. The attractive water
13 and countryside are widely and well known.

14 Our Bureau is gathering and developing
15 valuable recreation data that we will make available to
16 you should this be needed in your deliberations.

17 I wish to put before you our concern that
18 the value of recreation as a social and economic good,
19 taken with our concern for aesthetically pleasing waters,
20 are worthy of your special attention. As you consider
21 the pollution of the navigable waters of Puget Sound,
22 the Straits of Juan de Fuca, their tributaries and es-
23 tuaries, I am hopeful that outdoor recreation and aesthetic
24 considerations will carry considerable weight.

25 CHAIRMAN STEIN: Thank you, sir. Are there

1 any comments or questions?

2 If not, thank you very much for your state-
3 ment.

4 MR. POSTON: Thank you, Fred.

5 I believe we also have in the room Mr.
6 William J. Beck, who is representing the Department of
7 Health, Education and Welfare.

8 STATEMENT OF WILLIAM J. BECK

9 OF THE

10 DEPARTMENT OF HEALTH, EDUCATION AND WELFARE

11 MR. BECK: Mr. Chairman, Conferees, ladies
12 and gentlemen.

13 My name is William J. Beck and I am Chief
14 of the Pacific Northwest Marine Health Science Laboratory,
15 Gig Harbor, representing the part of the Public Health
16 Service of the Department of Health, Education and Welfare.
17 We are the ones who were left when everybody else went to
18 the Interior.

19 This morning you noted several instances
20 of raw domestic sewage being poured into the Puget Sound
21 area which we believe could be potential health hazards,
22 both as sources of pathogenic microorganisms, as well as
23 human toxicants from other sources noted. Unfortunately,
24 and being a researcher I can say this, our technology of
25 detection is not up even as far as the Pearl-Benson method

1 WILLIAM J. BECK

2 for SWL. Therefore, our knowledge of what these effects
3 are is very limited.

4 However, we know from various other studies
5 that we have potentials such as vibrio paraheamolyticum,
6 clostridia, enteric bacteria, viruses, carcinogenic sub-
7 stances that could be utilized in these areas.

8 On the second part is the cumulative
9 effects, as was mentioned by Mr. Glude, that we are now
10 faced with the potential of thermal pollution as well as
11 pollution from wastes and other toxicants. This cumulative
12 effect could be very dangerous and very hazardous, because
13 many of the things that are associated with certain of
14 these wastes could be utilized as nutrients for some of the
15 pathogenic microorganisms. For example, at one time SWL
16 was considered as a very good media for torula yeast,
17 which is in the fungi group, and I don't think there are
18 more than two micrologists in the world today who are even
19 studying fungi in the estuarine area.

20 We accepted those as proposed in this study
21 as a long step forward in removing potential pollution
22 sources that could be considered as potential public
23 health problems.

24 Thank you.

25 CHAIRMAN STEIN: Thank you, Mr. Beck. Any

1 comments or questions?

2 If not, thank you very much.

3 Mr. Poston.

4 MR. POSTON: Our office notified all Federal
5 agencies of this Conference today. Those people I have
6 called on have indicated their desire to make a presen-
7 tation. There may be others in the room. If so, at this
8 time I will call on them to come forward and make them-
9 selves known, present their statement.

10 STATEMENT OF NORMAN J. MAC DONALD

11 CHIEF, WATER CONTROL

12 CORPS OF ENGINEERS

13 SEATTLE, WASHINGTON

14 MR. MACDONALD: Mr. Chairman, Conferees, and
15 ladies and gentlemen.

16 I am Norman J. MacDonald, representing the
17 Seattle District Office, Corps of Engineers, and the North
18 Pacific Division Office, Corps of Engineers.

19 We have no formal presentation to make,
20 but I felt that since opportunity was given, if we didn't
21 say something it may be an indictment against our interest
22 in water quality control. This would be unfortunate in
23 view of some of the criticism nationwide on some of the
24 Corps of Engineers' activities in dredging, and I believe
25 that in this particular area that is under consideration

1 NORMAN J. MacDONALD

2 today the Corps of Engineers does have a vested interest.
3 We are often criticized for the spoil which we throw up
4 when we go into our dredging operations, and I believe that
5 with proper control of some of this effluent it will make
6 it much less critical in our operation if we do not have
7 these sludge deposits on the bottom. And so from that
8 standpoint, we would be very much interested in the con-
9 trol of these effluents.

10 Another area where we would be interested
11 would be in the area of permits. Any work which is to be
12 undertaken in navigable waters requires a permit from the
13 Corps of Engineers, and just recently we have entered into
14 an agreement with the Department of Interior, FWPCA, to
15 become involved with them prior to issuing a permit to see
16 to it that anyone who is given a permit will live within
17 the water quality standards adopted primarily by the State
18 agencies involved, and since some of these permits may be
19 issued for areas involved in the study, it would make it
20 much easier in the issuing of permits and for contractors
21 and others to live up to requirements if these sludge
22 deposits could be held to a minimum and if, as a matter
23 of fact, they could be eliminated.

24 So again I would like to say that we do
25 have a distinct interest in the water quality of Puget

1 NORMAN J. MacDONALD

2 Sound and the estuaries and the rivers that discharge
3 into Puget Sound, we have a great deal of interest in
4 water resource development. In any of these studies we
5 immediately contact FWPCA and through them the State to get
6 their comments with regard to the development of the
7 resource for pollution abatement, low flow augmentation,
8 and so on, and our interest, therefore, is considerable
9 in this particular field.

10 And so I thought it appropriate to make
11 just this general comment concerning our interest so that
12 you could see we do have an area of involvement in the
13 particular environment that is under discussion today and
14 tomorrow.

15 Thank you.

16 CHAIRMAN STEIN: Thank you, Mr. MacDonald.

17 Any comment or questions?

18 The Corps, as you know, is one of our
19 sister agencies with whom we work very closely.

20 Mr. Poston.

21 MR. POSTON: Are there other Federal agencies
22 who wish to be heard at this time?

23 I guess the answer is negative.

24 Mr. Chairman, this concludes the Federal
25 presentations, except for the furnishing of the material

1 ROY M. HARRIS

2 on the Sebastian Stuart Fish Company at Anacortes.

3 CHAIRMAN STEIN: Thank you.

4 At this time we will call on Mr. Harris for
5 the State of Washington.

6 Mr. Harris.

7 STATE PRESENTATION

8 STATEMENT OF ROY M. HARRIS, DIRECTOR

9 OF THE

10 WASHINGTON STATE WATER POLLUTION CONTROL COMMISSION

11 MR. HARRIS: My name is Roy M. Harris. I
12 am the Director of the Washington State Water Pollution
13 Control Commission, and the statement that I am presenting
14 today represents the detailed and critical staff review
15 of our Commission staff members.

16 This subject report has been reviewed in
17 considerable detail, and in general we believe the infor-
18 mation and data presented in the report describes water
19 quality in the study areas and links the major source of
20 pollution to pulp and paper mills. We also generally
21 concur with the treatment requirements for the pulp and
22 paper mills covered in the report, although some of the
23 recommendations we believe have need for rewording and
24 clarification.

25 The report recommends that all wastes be

1 ROY M. HARRIS

2 given a minimum of primary treatment to achieve: (a) re-
3 moval of all settleable solids, and (b) removal of a
4 minimum of 70 percent of all volatile suspended solids in
5 the total mill effluent. We fully support the general
6 concept of primary treatment for all wastes, but do not
7 believe that the 70 percent removal of volatile suspended
8 solids is achievable at all mills with standard primary
9 treatment. In addition, the report does not document the
10 70 percent removal requirement for volatile suspended
11 solids as being necessary to achieve a particular water
12 quality in the waste discharge area.

13 For example, this requirement can be easily
14 met by Crown Zellerbach, Simpson-Lee, Scott at Anacortes,
15 and Rayonier, but cannot be easily met by Georgia-Pacific
16 and Weyerhaeuser without the use of settling aids. For
17 example, Georgia-Pacific presently has a suspended solids
18 loss of 43 pounds per ton of production. After primary
19 treatment, the loss should be 19 pounds per ton or a
20 reduction of 59 percent. Rayonier loses 70 pounds per ton
21 at present, but after primary treatment should lose
22 approximately 21 pounds per ton for a reduction of 71 per-
23 cent.

24 So we prefer to require primary treatment
25 for removal of all settleable solids and to base the

ROY M. HARRIS

clarifier designs upon well-established, conservative design criteria.

The report recommends that all mills provide for improved outfalls except Simpson-Lee. The report also states the minimum depth at which each particular mill outfall should be located. We believe that the outfall is a very necessary part of any waste treatment system, but that the outfall should be located and designed to achieve maximum dilution and dispersion of the waste, based upon an engineering study of the receiving water-course.

The report makes recommendations for domestic waste treatment at the municipalities of Bellingham, Everett, and Port Angeles, as well as for several small industrial waste dischargers at Bellingham and Anacortes. The recommendations are in concurrence with our Plan of Implementation which has been submitted to the Federal Water Pollution Control Administration, with the exception of Bellingham. The report states that secondary treatment is necessary at Bellingham, while our plan states that a minimum of primary treatment is required and additional treatment may be required based upon a study by the City. The report does not document the need for the higher degree of treatment, but we prefer to use the method as outlined

1 ROY M. HARRIS

2 in our Plan of Implementation.

3 The report recommends that dredging and
4 removal of sludge deposits from areas adjacent to mill
5 outfalls at Whatcom Waterway and Bellingham Bay, Everett
6 Harbor, and the Port Angeles Harbor be performed by the
7 mills. The report supports this recommendation by demon-
8 strating acute toxicity to test fish due to hydrogen
9 sulfide released from the sludge beds. We support this
10 recommendation.

11 The report recommends that Georgia-Pacific,
12 Scott Paper and Weyerhaeuser at Everett modify chip barging
13 unloading operations to eliminate spillage of wood chips.
14 We support this recommendation.

15 We do, however, suggest that the recom-
16 mendations in the report be modified to read as follows:

17 BELLINGHAM AREA

18 Georgia-Pacific Pulp, Board, and Paper Mill:

19 And I shall add here to the numbers in the
20 report as the same numbers here.

21 Recommendation 1. We suggest it be
22 modified to provide for primary treatment of all solids-
23 bearing wastes for removal of all settleable solids prior
24 to discharge into Bellingham Bay.

25 Recommendation 2. We have no change suggested.

ROY M. HARRIS

Recommendation 3. Modified as follows:

Construct a submarine outfall equipped with an adequate diffuser to permit discharge of all residential wastes outside the confines of Whatcom Waterway and located in the deeper water of Bellingham Bay to achieve maximum waste dilution and dispersion.

With recommendations 4 and 5 we concur.

CITY OF BELLINGHAM

Recommendation 1, the same.

Recommendation 2, modified as follows:

Construct a submarine outfall from the present primary plant into the deeper water of Bellingham Bay to achieve maximum waste dilution and dispersion.

And under the City of Bellingham we wish to add or suggest the addition, rather, of Item 3:

Conduct an engineering study to determine whether a higher degree of treatment than primary treatment will be necessary to comply with receiving water standards.

ANACORTES AREA

Scott Paper Company:

Item 1, modified as follows:

Provide primary treatment of all solids-bearing wastes for removal of all settleable solids.

Item 2 to be modified as follows:

ROY M. HARRIS

1
2 Extend the present outfall line, equipped
3 with an adequate diffuser section, into the deeper water
4 of Guemes Channel to achieve maximum waste dilution and
5 dispersion.

6 Item 3, same.

EVERETT AREA

8 Scott Paper Company:

9 Item 1, modified as follows:

10 Provide primary treatment of all solids-
11 bearing wastes for removal of all settleable solids prior
12 to discharge into Port Gardner Bay.

13 Item 2, the same.

14 Item 3, modified as follows:

15 Construct a submarine outfall equipped
16 with an adequate diffuser to permit discharge of all
17 residual wastes into the deeper waters of Port Gardner Bay
18 to achieve maximum waste dilution and dispersion.

19 Item 4 and Item 5, the same.

20 Weyerhaeuser Company Sulfite Mill at Everett:

21 Item 1, modified as follows:

22 Provide primary treatment of all solids-
23 bearing wastes for removal of all settleable solids prior
24 to discharge into Port Gardner Bay.

25 Item 2, the same.

ROY M. HARRIS

Items 3, 4 and 5, the same.

Simpson-Lee at Everett:

Item 1, modified as follows:

Provide primary treatment of all solids-bearing wastes for removal of all settleable solids prior to discharge into Snohomish River.

Item 2 is a suggested new recommendation:

Elimination of waste overflows into bypass sewer.

Item 3 is a proposed new section:

Construct a submerged outfall equipped with an adequate diffuser to permit discharge of residual wastes into the Snohomish River to achieve maximum waste dilution and dispersion.

For the City of Everett:

Modify Item 1 as follows:

Provide chlorination for waste stabilization pond effluent.

PORT ANGELES AREA

Rayonier:

Modify Item 1 as follows:

Provide primary treatment of all solids-bearing wastes for removal of all settleable solids prior to discharge into Port Angeles Harbor.

ROY M. HARRIS

Item 2, the same.

Item 3, modify as follows:

Construct a submarine outfall equipped with an adequate diffuser to permit discharge of all residual wastes into the deeper waters of Port Angeles Harbor in order to achieve maximum waste dilution and dispersion.

Item 4, no change.

Fibreboard Paper Products at Port Angeles:

Item 1, modified as follows:

Provide primary treatment of all solids-bearing wastes for removal of all settleable solids prior to discharge into Port Angeles Harbor.

Item 2 to be modified as follows:

Construct a submarine outfall equipped with an adequate diffuser to permit discharge of all residual wastes into the deeper waters of Port Angeles Harbor to achieve maximum waste dilution and dispersion.

Item 3, no change.

Crown Zellerbach at Port Angeles:

Item 1, modified as follows:

Provide primary treatment of all solids-bearing wastes for removal of all settleable solids prior to discharge into the Strait of Juan de Fuca.

Item 2 to be modified as follows:

1 ROY M. HARRIS

2 Construct a submarine outfall to permit
3 discharge of all residual wastes into the Strait of Juan
4 de Fuca to achieve maximum waste dilution and dispersion.

5 .Item 3, no change.

6 For the City of Port Angeles, to be modified
7 as follows:

8 1. Provide for collection of all domestic
9 waste discharges and treatment of these wastes by providing
10 primary treatment and effluent chlorination with discharge
11 into deep water diffuser outfalls.

12 Mr. Chairman, that concludes the statement
13 I wish to make on behalf of our staff review.

14 CHAIRMAN STEIN: Are there any comments or
15 questions?

16 MR. POSTON: I have none.

17 CHAIRMAN STEIN: Mr. Harris, I think, as
18 far as I could see, those are very constructive suggestions.
19 You know, the lawyers always like to quibble, but you
20 engineers take the cake. (Laughter) I think that this is
21 a field day for engineers. I don't believe that the
22 recommendations that you have made and the recommendations
23 of the staff of the Federal Water Pollution Control Adminis-
24 tration are so far apart that they can't be adjusted with
25 a reasonable amount of adjudication.

1 I just have one question. This is really,
2 you know, just an information question.

3 When you talk about Port Angeles, you
4 talk about primary treatment and disinfection. Did
5 you mean that for Bellingham, too, that they have to
6 disinfect the wastes if they are going to have primary
7 treatment?

8 MR. HARRIS: We require disinfection for
9 all municipal districts.

10 CHAIRMAN STEIN: Right.

11 MR. HARRIS: Does that answer your question?

12 CHAIRMAN STEIN: Yes, it surely does.

13 These points are very detailed, and if you
14 disagree with me, Mr. Harris, I would like to know. But
15 I do not think that the differences in the suggestions
16 are really significant or amount to anything that can't
17 be adjusted by the technical staffs.

18 MR. HARRIS: I am sure they can. In fact,
19 some people might call it nit-picking.

20 CHAIRMAN STEIN: Right. Well, I don't know,
21 I think it is an improvement. I have always felt in
22 the Government that when someone wrote a report and I
23 couldn't improve on the first draft, maybe I was slipping.
24 But if I wrote it first, I would expect them to improve
25 on it. And I am not sure that given the basic

1 report that the Federal staff has worked up but what some
2 of the refinements and suggestions that you have made are
3 not very pertinent and should be given serious considera-
4 tion. I have no doubt that the differences are not so
5 great that the State of Washington and the Federal Govern-
6 ment will not be able to achieve unanimous agreement as
7 they have in the past.

8 Thank you.

9 MR. HARRIS: As I stated originally, we
10 have no general disagreement.

11 CHAIRMAN STEIN: I don't think there is
12 disagreement.

13 Thank you.

14 FROM THE AUDIENCE: Mr. Stein, could I ask
15 Mr. Harris a question?

16 CHAIRMAN STEIN: I would suggest that we
17 reserve that until you make your statement. Any of the
18 statements that you have, part of your statement can be
19 directing a question to Mr. Harris or any other of the
20 Conferees or any of the experts we have.

21 Our problem is this. If we throw the
22 meeting open to questions, we will be here for weeks. I
23 want to assure you that any pertinent question will not be
24 unanswered, you will be given the floor and be given an
25 opportunity. Let's try to proceed if we can.

1 Mr. Harris.

2 MR. HARRIS: At this time I should like to
3 call on a representative of the State Department of Health
4 to present a statement on behalf of that agency.

5 STATEMENT OF JAMES C. PLUNTER

6 HEAD, SANITARY ENGINEERING SECTION

7 WASHINGTON STATE DEPARTMENT OF HEALTH

8 MR. PLUNTER: Thank you, Mr. Chairman.
9 Members of the Conference and ladies and gentlemen.

10 My name is Jim Plunter, and I represent
11 the Washington State Department of Health.

12 The technical questions under study at
13 this hearing are undeniably complex. We claim no exper-
14 tise in the field of industrial waste. Our concern and
15 responsibility is the preservation, the protection, and
16 promotion of the health and well being of the people of the
17 State, and as such, our position is simply stated.

18 We are committed to keeping the total
19 environment, including water, as clean as possible,
20 as free of contaminants or pollutants or foreign materials
21 as is technologically feasible.

22 We believe this is a sound principle which
23 will aid substantially in protecting public health and
24 assuring the preservation of the environment for future
25 generations.

1 JAMES C. PLUNTER

2 Therefore, we support the investigation
3 described this morning and the recommendations made.

4 With regard to the recommendations for
5 improvements to treatment of municipal waste in the study
6 areas, we agree that improvements are needed here, as in
7 other communities in Puget Sound and throughout the State.
8 The Department has so stated at water quality hearings
9 conducted over the past year by the Washington Water
10 Pollution Control Commission. We hope that the problems
11 described here today can be similarly resolved in a
12 spirit of rational discussion and cooperation.

13 Thank you.

14 CHAIRMAN STEIN: Thank you. Are there any
15 comments or questions?

16 MR. HARRIS: Thank you, Jim.

17 Is there a representative present for the
18 State Department of Game? I believe that John Douglas
19 was to present a statement on behalf of the Game Department.

20 Mr. Douglas.

21 STATEMENT OF JOHN DOUGLAS

22 FISHERIES BIOLOGIST, APPLIED RESEARCH DIVISION

23 WASHINGTON DEPARTMENT OF GAME

24 MR. DOUGLAS: Mr. Chairman, Conferees. My
25 name is John Douglas, Fisheries Biologist, Applied Research

1 JOHN DOUGLAS

2 Division, Washington Department of Game.

3 The Washington Game Department is vitally
4 interested in any program that will improve the aquatic
5 habitat for fish within the Puget Sound region. The bays,
6 estuaries and salt water environment are essential in the
7 life cycle of our anadromous game fish species, and the
8 quality of this environment is the key to survival of
9 these fish. Pollution of rearing and travel areas is one
10 of the main limiting factors to increased survival of these
11 game fish species.

12 It is expected that some 2.8 million
13 people will be in the Puget Sound area by 1980. This
14 increased population will create problems in supply and
15 demand of our game fish resources. These people need
16 outdoor recreation outlets for their leisure time as well
17 as jobs to finance these leisure time activities. This
18 cannot be accomplished if one need is developed at the
19 expense of the other. The present pollution of our salt
20 water areas from industrial and municipal wastes to the
21 extent indicated by the report of the Federal Water Pollu-
22 tion Control Administration well indicates the extent of
23 the development of one resource at the expense of another.

24 The improvement of key salt water habitat
25 would allow an increase in our anadromous game fish

1 populations by permitting greater survival and area
2 utilization of these fish during their salt water life.
3 Increased salt water survival of our natural and hatchery-
4 reared fish would permit this Department to meet a part
5 of the increased demand for outdoor recreation with little
6 expansion of existing facilities.

7 We, therefore, are very much interested in
8 the proposed cleanup of pollution in the Puget Sound region.
9 We agree with the findings of the Federal Water Pollution
10 Control Administration and urge that the full implemen-
11 tation of their recommendations be made. Only when this
12 implementation occurs can we hope to meet the future
13 demands for better fishing in our fresh and salt water areas.

14 I thank you.

15 CHAIRMAN STEIN: Thank you. Are there any
16 comments or questions?

17 If not, thank you very much.

18 MR. POSTON: Just a moment.

19 CHAIRMAN STEIN: Yes, Mr. Poston.

20 MR. POSTON: I believe there was an appen-
21 dix to your paper that was prepared--

22 MR. DOUGLAS: This is Washington Department
23 of Fisheries.

24 MR. POSTON: I beg your pardon.

25 CHAIRMAN STEIN: Maybe the states can match

1 us in the intricacies of their bureaucracy.

2 Mr. Harris.

3 MR. HARRIS: To show that our fisheries
4 are a little bit split up as far as interests are con-
5 cerned between game and commercial fisheries, we should
6 like now to call upon Mr. Lassiter of the State Depart-
7 ment of Fisheries.

8 STATEMENT OF J. E. LASATER

9 ASSISTANT DIRECTOR

10 WASHINGTON DEPARTMENT OF FISHERIES

11 MR. LASATER: Gentlemen, I am J. E.
12 Lasater, Assistant Director, Washington Department of
13 Fisheries.

14 I am always following Game Department people
15 around explaining that while we are different, we are
16 partners. I just might tell you that, similarly to the
17 Federal organization, we are split into two groups, one
18 dealing with those fish which may be taken commercially,
19 which I represent, and those fish which may be taken only
20 for personal use, which Mr. Douglas represents.

21 So that I won't overlook it, I have been
22 asked by Mr. Russell Bristow, of the Columbia River
23 Fishermen's Protective Association, to tell you in his
24 behalf that he wishes you to know that his organization
25 concurs with the findings and the report on Pollutional

1 J. E. LASATER

2 Effects of Pulp and Paper Mill Wastes in Puget Sound.

3 He is not able to be here.

4 I am presenting this statement in behalf of
5 Director Thor Tollefson of our department.

6 We appreciate the opportunity to present
7 this statement of our interest in the report of the joint
8 Federal-State studies of water pollution conducted in the
9 greater Puget Sound area. Many of the findings presented
10 in the report reconfirm facts we had previously established,
11 and some of the findings present information and concepts
12 new to us.

13 Research conducted by the Washington Depart-
14 ment of Fisheries has demonstrated the deleterious effects
15 of pulp and paper mill discharge on fish and shellfish.
16 We expressed our concern and documented this at the first
17 session of this conference at Olympia, Washington, in
18 January 1962. Department biologists were key participants
19 in the cooperative Federal-State studies initiated by the
20 1962 Conference. Our personnel were responsible for the
21 oyster larvae bioassay studies and our comments regarding
22 these are attached to this statement, and I will read them
23 following this initial statement.

24 We agree with the approach taken in the
25 report presenting the recommendations for each study area.

J. E. LASATER

1
2 Since water pollution problems must always be evaluated
3 with respect to the future, there appears to be no
4 alternative but to require reduction or abatement of each
5 existing waste source in conformance with the water quality
6 standards recently promulgated by the Washington Water
7 Pollution Control Commission and to implement the recom-
8 mendations contained in the FWPCA report, "Pollutional
9 Effects of Pulp and Paper Mill Wastes in Puget Sound",
10 dated March 1967.

11 Puget Sound is probably the single most
12 important food production reserve we have in the State
13 of Washington and we feel it must be protected. The
14 tremendous food producing potential cannot be fully
15 realized unless the water pollution problem can be con-
16 trolled and abated. The fact that a fishery or fish
17 population in a specific area does not exist or has already
18 been destroyed by pollution does not justify pollution of
19 the area or failure to correct the pollution problem.
20 Recent reports on estimated State and national population
21 increases and food requirements clearly indicate that we
22 must not only maintain, but also increase the harvest
23 from marine waters. When dealing with a self-renewing
24 resource such as fisheries, the future is in our hands
25 here and now and this is the time when action to abate

1 J. E. LASATER

2 water pollution is necessary. We have waited too long
3 for voluntary action by the pulp and paper mills to abate
4 the manace of harmful wastes being released into public
5 waters as a result of their operations.

6 There is an immediate urgency for the
7 abatement of this source of pollution, and we feel that
8 joint State-Federal enforcement action to abate the
9 pollution of Puget Sound waters should be immediately
10 implemented.

11 I wish now to address myself briefly to the--

12 CHAIRMAN STEIN: Before you go on, sir.

13 MR. LASATER: All right.

14 CHAIRMAN STEIN: You have your appendix.
15 Without objection, this appendix is very short, and it
16 will be included in the record as if read.

17 MR. LASATER: All right, sir. At your
18 pleasure.

19 CHAIRMAN STEIN: Go ahead.

20 MR. LASATER: That is the completion of
21 the statement if you wish just the appendix submitted and
22 not read.

23 CHAIRMAN STEIN: Do you want to read it?
24 Would you rather read the appendix?

25 MR. LASATER: I believe I would, sir.

1 J. E. LASATER

2 CHAIRMAN STEIN: Go right ahead.

3 MR. LASATER: For the Conferees.

4 CHAIRMAN STEIN: Go ahead.

5 MR. HARRIS: I think Mr. Lasater would
6 prefer to read it.

7 CHAIRMAN STEIN: That is all right. I
8 thought you were just going to introduce it.

9 MR. LASATER: No. I will state my reason
10 for that.

11 CHAIRMAN STEIN: No, this is fine. The
12 option is yours.

13 MR. LASATER: All right.

14 This is a statement of the Washington Depart-
15 ment of Fisheries giving our position regarding the use
16 and results derived from Pacific oyster larvae bioassays
17 of the waters under consideration.

18 In view of the fact that over 80 percent
19 of Washington's commercial molluscan production as well
20 as a substantial sport fishery are based on the Pacific
21 oyster, the Department of Fisheries unequivocally endorses
22 the use of the oyster larva bioassay as used in the studies
23 conducted under and reported by this Conference.

24 The allegation that this species does not
25 qualify as a bioassay organism in these waters because it

J. E. LASATER

1
2 is an exotic is no more defensible than the argument that
3 a pollutant which kills Chinese pheasants, eastern brook
4 trout, cows, or horses is not injurious to the local fauna.

5 The argument that oyster larvae are un-
6 acceptable as bioassay animals because of the absence of
7 oysters in some of the areas considered is equally pre-
8 posterous since it assumes that even in the absence of
9 waste discharges oysters could or would not grow and/or re-
10 produce in these areas. In fact, in two of the areas
11 considered, the only recorded oyster setting during the
12 past 20 years and more occurred during 1958 when the major
13 source of pollution was not in operation.

14 It has also been suggested that since oysters produce
15 millions of eggs, the loss of 50 percent, 75 percent or
16 even 95 percent to some careless activity of man is of
17 no great concern. This argument assumes some sort of a
18 surplus which we can throw away. If, in fact, such a
19 surplus existed, the age-old story of oysters and clams
20 filling our bays and estuaries would have long since come
21 true. In reality, the delicate balance of nature is such
22 that virtually all nondomestic, unprotected species over
23 the long haul survive at a one to one ratio over the life
24 span of an individual and any change in survival at any
25 stage of the life cycle, regardless of how small, may have

J. E. LASATER

1
2 profound effects on survival or destruction of the popu-
3 lation of concern.

4 The use of oyster larvae bioassays have
5 been challenged on the grounds that this assay considers
6 only a single delicate stage of the animal's life cycle
7 and as such cannot be used in making inferences about
8 effect on adults or the population. It should be obvious
9 to even the most poorly informed that if reproduction of
10 the animal is stopped, there will very shortly be no
11 survivors to concern ourselves with. In addition to this,
12 we must note that research by the Department of Fisheries
13 indicates toxicities of some wastes as measured by per-
14 cent abnormal larvae in the 48-hour Pacific oyster embryo
15 bioassay closely parallel toxicity levels determined
16 through increased mortalities, decreased fatness, and
17 reduced reproduction by adult oysters.

18 However, the most damning finding of the
19 bioassay studies reported by the Conference is the
20 results of bioassays conducted before, during, and sub-
21 sequent to the complete shutdown of a single industry in
22 the autumn of 1964 in three of the four areas being con-
23 sidered by this conference. During this period frequent
24 oyster larvae bioassays clearly showed the decline to
25 virtually no toxicity of the waters in the absence of

1 J. E. LASATER

2 waste discharges and a rapid return to toxic conditions
3 within a matter of days of resumption of waste discharging.
4 This large-scale experiment conducted in the areas of
5 actual concern clearly demonstrates the ability of the
6 oyster larva bioassay to measure water quality.

7 In addition to fully endorsing the oyster
8 larva bioassay's use to measure water quality with regard
9 to molluscan shellfish, we further note that areas which
10 support oyster populations generally also support sub-
11 stantial populations of other fish and shellfish. There-
12 fore, we are reasonably confident that waters in which
13 oysters and their larvae survive are waters that will
14 support other commercial fisheries.

15 Thank you very much.

16 CHAIRMAN STEIN: Thank you, Mr. Lasater.

17 Are there any comments or questions?

18 If not I have a question. Maybe you are
19 at the wrong place in the record, but you base a good
20 portion of your statement on the argument that oyster
21 larvae are unacceptable as bioassay animals. I have
22 heard no allegation to that effect. Who makes it?

23 MR. LASATER: I am very pleased that you
24 haven't. We have heard--

25 CHAIRMAN STEIN: Well, we haven't had it

1 J. E. LASATER

2 in the record here, have we? No one stated that.

3 MR. LASATER: I don't believe so, but I
4 don't believe it is out of place to meet an argument even
5 prior to its coming up.

6 CHAIRMAN STEIN: Well, we have heard from
7 the State and the Federal Government and I didn't hear any
8 allegation that this was an unacceptable tool.

9 MR. LASATER: I don't expect the problem
10 to come from the State or the Federal Government fellows
11 at all. I am quite sure that any of them will accept it.
12 I will be followed by other speakers and I do know some
13 of the arguments that have been raised to us or that we
14 know about.

15 If they are not brought up at all to this
16 body, then please disregard any comment. (Laughter)

17 CHAIRMAN STEIN: Well, thank you.

18 MR. HARRIS: I think you explained that
19 very well. (Laughter)

20 CHAIRMAN STEIN: Mr. Harris.

21 MR. HARRIS: The next member we have from
22 the State of Washington is a distinguished member of the
23 University of Washington faculty, Professor Robert
24 Sylvester.

25

1 PERSONAL STATEMENT OF ROBERT O. SYLVESTER

2 PROFESSOR OF SANITARY ENGINEERING

3 UNIVERSITY OF WASHINGTON

4 MR. SYLVESTER: Mr. Chairman, Conferees,
5 ladies and gentlemen.

6 I am giving my statement as a citizen, not
7 as a representative of any State agency.

8 My name is Robert Sylvester. I am Professor
9 of Sanitary Engineering at the University of Washington.

10 CHAIRMAN STEIN: Let me say this before I
11 know what is in the statement.

12 Mr. Sylvester in water pollution control
13 is indeed one of the State's most distinguished citizens
14 and probably one of the most distinguished in the country
15 in this field.

16 MR. SYLVESTER: You should make those
17 remarks after I have delivered my statement. You might
18 want to retract them. (Laughter)

19 CHAIRMAN STEIN: That is why I said it
20 before you delivered the statement.

21 MR. SYLVESTER: Thank you.

22 First I would like to compliment the Federal
23 Water Pollution Control Administration and the Washington
24 Water Pollution Control Commission for the report delivered
25 this morning. This, I think, is a very comprehensive and

ROBERT O. SYLVESTER

1
2 most detailed report, perhaps more so than any we have
3 seen of this type in the past. As in any study and report
4 of this complexity, it can be subjected to questions on
5 methodology, results, conclusions and recommendations.
6 However, these questions are not as important as to
7 question the objective of this study.

8 The principal objective of the investigations
9 as initiated by the 1962 Enforcement Conference in Olympia
10 was to determine whether the marine environment has been
11 damaged as the result of pulp and paper mill waste dis-
12 charges. This objective, necessitated by the Enforcement
13 Conference, is a negative approach in a modern program of
14 water quality control for the maintenance or enhancement
15 of a water environment. If damage must be proven in an
16 enforcement program before corrective measures can be
17 obtained, then some of the beneficial uses of the waters
18 have already suffered. In a developing area, these damages
19 can increase more rapidly than corrective measures. When
20 carried to the extreme, as has been the case in some areas,
21 water uses other than waste disposal have declined and
22 there remains little left to protect. The cost to reverse
23 these mistakes in water management are so great that
24 pressures develop to commit the waters to this condition.
25 Since a water resource must serve many conflicting demands,

ROBERT O. SYLVESTER

1
2 those users that can degrade the water quality and reduce
3 the usefulness of a water resource should demonstrate
4 that their actions are not harmful or face the cost of
5 this damage.

6 It is a most difficult task to prove damage
7 to a water environment unless the damage be so severe that
8 it is obvious to all. Pollutants are many and their
9 effect on water uses is not well understood. Some types
10 of damage can be subtle, difficult to observe, and may
11 only be evident after a long period of time has elapsed.
12 Other than outright death of water biota or the con-
13 traction of disease by humans, we have no widely accepted
14 parameters of total pollution damage. Water quality
15 management must optimize the long-term stream of beneficial
16 uses and not seek non-optimum short-term solutions.

17 Consideration of the results, conclusions
18 and recommendations of this report should not be restricted
19 to whether or not significant physical damage has been
20 caused by waste discharge or on the identifiable dollar
21 value of one use versus another. Rather they should be
22 viewed with the following considerations in mind:

23 1. The marine waters in question are
24 public waters that must be suitable for all to enjoy and
25 use wherein one does not gain at the expense of others

ROBERT O. SYLVESTER

1
2 and wherein future industrial expansion and other uses
3 are maximized.

4 2. We are slowly awakening to the neces-
5 sity of maintaining or enhancing the quality of our
6 water, air and land environments. Much legislation has
7 been devoted to this subject and policies have been
8 established. It is, therefore, necessary that the recom-
9 mendations and conclusions in the report be viewed not
10 only as to their conformance with details of State and
11 Federal legislation but also as to their conformance with
12 legislative policy.

13 3. Within the constraints of our present
14 technology and economic capabilities it is necessary that
15 wastewaters from municipalities, industry and agriculture
16 be returned to nearby receiving waters not entirely free
17 of pollutants. However, are all substances that can be
18 readily removed from these waste streams being removed?
19 Are the municipalities and industries mentioned in the
20 report being asked to remove substances that are technically
21 and economically infeasible of removal or that are not
22 being removed by others within similar economic communities
23 or competitive markets?

24 4. Water quality control measures are
25 costly and represent costs to all segments of society.

1 ROBERT O. SYLVESTER

2 Are the costs entailed in the recommendations of the
3 report unreasonable when compared with other expenditures
4 in this complex society and can society avoid these costs
5 as we look to the future?

6 Let us hope that this Conference will con-
7 cern itself with these broader aspects of water quality
8 management and not become involved in debates over just
9 how much of this or that pollutant can be presently absorbed
10 by the environment without most serious consequences.

11 CHAIRMAN STEIN: Thank you, Professor
12 Sylvester.

13 Are there any comments or questions?

14 You know, your statements are a little
15 ahead of the Congress. The Congress heeded your state-
16 ment here: "If damage must be proven in an enforcement
17 program before corrective measures can be obtained, then
18 some of the beneficial uses of the waters have already
19 suffered." The FWPCA and the State have to work under
20 existing law. We started this in 1962. It wasn't until
21 1965 and 1966 that the Congress attempted to get at the
22 preventive aspects of water pollution control through the
23 standards mechanism.

24 In regard to your questions, I don't know
25 if they have been satisfactorily answered, but it seems to

1 me that the report of the Federal people, and particularly
2 the summary made by Mr. Kari, attempted to get at some
3 of the questions you have raised in 1, 2, 3, 4. I don't
4 know that you are satisfied or anyone here would be
5 satisfied with the recommendations he made, but certainly
6 your questions are very pertinent and should be con-
7 sidered, I think, and will be by the Conferees. As always,
8 your statement has been very helpful.

9 MR. SYLVESTER: Thank you. I was aware and
10 I tried to bring it out there that your 1962 Conference
11 was made before recent legislation.

12 CHAIRMAN STEIN: That is right.

13 MR. SYLVESTER: And you operated under that
14 restraint.

15 CHAIRMAN STEIN: Right.

16 Thank you.

17 MR. HARRIS: Thank you, Professor Sylvester.
18 Professor Sylvester, you have a very meaty discussion
19 here and I believe that it has given a lot of us food for
20 thought.

21 At this time I would like to call upon Mr.
22 James E. Phillips, who is the President of the First
23 National Bank of Port Angeles and also President of the
24 Chamber of Commerce of Port Angeles.

25 Mr. Phillips.

1 STATEMENT OF JAMES E. PHILLIPS
2 PRESIDENT, FIRST NATIONAL BANK
3 PRESIDENT, CHAMBER OF COMMERCE
4 PORT ANGELES

5 MR. PHILLIPS: Mr. Chairman, members of
6 the Conferees.

7 I wish to thank the Chairman for making it
8 possible for me to make a statement at this hearing.

9 Gentlemen, I assure you that we in Port
10 Angeles have followed the proceedings of this Conference
11 closely since its inception in 1962. I, of course,
12 represent that very large and typical section of the public
13 who are neither scientists nor specialists in the field
14 of water quality or its needs.

15 This, however, does not mean that we are
16 not of consequence even in a technical controversy such
17 as this one. Quite to the contrary, we like to feel that
18 we are the most important people in the act: We are the
19 general public for whom any required actions here are to
20 be taken, and we do most sincerely appreciate the efforts
21 of all concerned on our behalf.

22 It is on this basis that I have asked to
23 speak today, because there are many of us in Port Angeles
24 who have been becoming increasingly concerned over one
25 aspect here, the possibility of trading a very minor,

JAMES E. PHILLIPS

1
2 questionable problem for a possibly very real and serious
3 problem, that of air pollution.

4 We have lived with the pulp and paper
5 industry long enough to know that a recovery process involves
6 the burning of some of the wastes, and that this in turn
7 can in many cases lead to at least intermittent air
8 problems no matter how careful the industry may be.

9 Frankly, gentlemen, from a simple public
10 standpoint, we do not feel that our water in Port Angeles
11 Harbor is in such bad shape. In fact, one has to go out
12 and search to find the questionable conditions. We have
13 seen times and places in other towns where this is not
14 true in respect to the air. Sometimes it just plain
15 smells.

16 I repeat, we are not sure if a problem
17 actually exists. In the last issue of Sports Illustrated
18 dated September 4, 1967, on Page 10 they carry a story
19 called "Population Explosion". I would like to read from
20 this article if I may. I quote:

21 "Sometimes it happens--a river becomes too
22 crowded with fish for fish to survive, for sportsmen to
23 catch them and even for biologists to count them. It has
24 been happening this summer on the Dungeness, a pretty little
25 Alder-lined stream that forms in Washington's Olympic

JAMES E. PHILLIPS

1
2 Mountains and flows 35 miles north to the Strait of Juan
3 de Fuca."

4 This is roughly ten miles east of Port
5 Angeles where the mouth of the river is.

6 "In 1959, when the Washington state fisheries
7 department began counting the humpback salmon that spawn
8 in the Dungeness, there were 40,000 of them. This summer
9 it was obvious by the end of the second day of the month-
10 long run that there would be many more than that: counters
11 near the mouth of the river had already ticked off 16,000
12 fish. If the rush continued, late arrivals would destroy
13 the beds where the early comers had spawned. 'A crisis
14 was developing,' said Earle Jewell, a state biologist, 'so
15 we decided to charter purse seiners on an emergency basis.
16 We got fishermen out of bed on Friday night and managed
17 to have seven of them fishing the outer bay on Saturday
18 and Sunday.

19 "But the commercial fishermen hauled in
20 only 4,000 fish over the weekend. And by Sunday the
21 counters had registered more than 70,000 swimming up the
22 Dungeness. Humpback salmon are small as salmon go, and
23 they went around, under and through nets intended for
24 bigger sockeye salmon. Next the fisheries department
25 used beach seines manned by department personnel, but that

1 JAMES E. PHILLIPS

2 did not work either. At last, five miles of the lower
3 river were opened to sport fishing with hook and line.

4 "That worked. For two weeks some 15,000
5 men, women and children were up to their icy kneecaps
6 in the swift water of the Dungeness, feverishly taking
7 salmon.

8 "Some families canned their fish on the
9 banks of the river. In all, the fishermen took at least
10 15,000 salmon, and probably assured the success of the
11 next run, which will come in 1969."

12 End of article.

13 It has been my observation that the fishing
14 in the Port Angeles area is influenced by factors other
15 than the application of the forest products industries.
16 These concerns have operated almost continuously for many
17 years with their methods of waste discharge being essen-
18 tially unchanged and with production increases being of
19 an incremental nature. Fishing, on the other hand, has
20 over the years varied from being extremely good to
21 extremely bad, and this has been a particularly good year.

22 We have just recently seen the water quality
23 standards which the State Water Pollution Control Com-
24 mission has proposed to the Department of the Interior.
25 I do not know how the Commission arrived at the present

JAMES E. PHILLIPS

1
2 and proposed water uses for the Port Angeles area because
3 it is so obvious that they do not reflect the facts of
4 life. Bathing and swimming are out of the question due
5 to the very low temperature of the water and the brisk
6 wind which usually prevails. Shellfish growth and propa-
7 gation is totally impractical, as I understand it, because
8 of the low temperature of the water and the lack of
9 extensive tidelands required for this sort of seafood
10 production. The industrial water supply for our industries
11 comes from the Elwha River, and because of this, listing
12 industrial water supply as one of the uses of the harbor
13 water is in error.

14 The waters immediately adjacent to Port
15 Angeles are used for the movement and storage of large
16 quantities of logs, marine transportation, fishing,
17 boating and boat havens, and for waste assimilation.
18 These uses appear to be very compatible because of the
19 extremely large volume of water available and because
20 of the strong tidal action which changes the water in
21 the harbor in less than a day.

22 The State of Washington is presently
23 enjoying an economic boom. This is not true, however,
24 in the Port Angeles area. Since 1941 only one new manu-
25 facturing industry has been located in Clallam County.

JAMES E. PHILLIPS

1
2 They currently hire 100 men. In those 26 years we lost
3 one similar industry employing 50 men. Recent figures
4 furnished by the Washington State Employment office
5 indicate that the total employment in manufacturing,
6 other than logging, in Clallam County has declined by
7 7 percent in the nine-year period from 1958 to year end
8 1966.

9 Several of the larger Port Angeles indus-
10 tries already work at an economic disadvantage, in com-
11 parison with other upsound mills, because of freight
12 costs, and I would hate to see them saddled with additional
13 costs for water quality improvement unless there is an
14 unquestionable need for improvement in this area. It was
15 only a few short years ago that the City of Shelton lost
16 one of its major industries when operational costs in the
17 Shelton plant became too high in comparison with other
18 possible plant locations.

19 I don't know if this is considered proper
20 at one of these Conferences, but I earnestly plead with
21 both the State and Federal regulatory people here today
22 to be extremely careful in what you do, and that you do
23 consider all of the relationships here before you take
24 your final action. We in Port Angeles don't mind our
25 water, and we like our air. Please do not lower the

1 JAMES E. PHILLIPS

2 quality of either one. Thank you.

3 CHAIRMAN STEIN: Do you want that table included?

4 MR. PHILLIPS: I beg pardon?

5 CHAIRMAN STEIN: Do you want the table attached?

6 MR. PHILLIPS: The table attached proves the
7 point that I have made that there has been a 9 percent decrease
8 in manufacturing, in employment in Clallam County in the years
9 1958--

10 CHAIRMAN STEIN: Do you want this included in
11 the record?

12 MR. PHILLIPS Yes, sir.

13 CHAIRMAN STEIN: Without objection, this will
14 be included as if read.

15 MR. PHILLIPS: Thank you.

16 (The table referred to appears on page 170a.)

17 CHAIRMAN STEIN: Are there any comments or
18 questions?

19 MR. HARRIS: We have one other statement.
20 Mr. Philip Parker.

21 STATEMENT OF PHILIP H. PARKER


22 EXECUTIVE SECRETARY

23 PACIFIC COAST OYSTER GROWERS ASSOCIATION

24 MR. PARKER: Chairman Stein, Director Harris,
25 ladies and gentlemen.

Table 4

Index of Annual Average Covered Employment, State of Washington, State of Washington without Aerospace, and Clallam County, MANUFACTURING OTHER THAN LOGGING, LUMBER, AND WOOD PRODUCTS, 1958-1966 (1958 = 100)



State _____
 State W/O Aerospace - - - - -
 Clallam Co.

PHILIP H. PARKER

1
2 My name is Philip H. Parker. I am
3 Executive Secretary for the Pacific Coast Oyster Growers
4 Association, a trade association which represents the
5 interests of oyster growers and processors in Washington,
6 Oregon, California, and British Columbia.

7 I do not believe it is presumptuous to
8 say that I also speak here today, in a general way, for
9 the thousands upon thousands of citizens of the west who
10 share with us a deep and abiding concern for the need
11 to conserve and husband our priceless water resource.
12 Because of the oyster industry's long standing interest
13 and widely recognized leadership in the struggle to pro-
14 tect and preserve clean water, these citizens, lacking a
15 strong organized voice of their own, have turned to us
16 to speak on their behalf at such public forums as this.
17 This is a responsibility which we welcome and which we
18 accept with both pride and humility.

19 This Conference is being held here today
20 largely because our industry, long the victim of the
21 polluters, demanded some kind of reasonable, rational,
22 responsible action on the part of our public officials to
23 effectively deal with a problem which was and still is
24 threatening to permanently damage a basic natural resource.
25 We are pleased that such action was begun. We consider

PHILIP H. PARKER

1
2 this Conference and its work up to this point the first
3 step of any real significance to be taken so far in the
4 matter of conserving the waters of the Puget Sound.

5 We concur heartily in the findings of the
6 four-year study made by the Federal Water Pollution Control
7 Administration and we endorse emphatically the recom-
8 mendations of that report. Both the findings and the
9 recommendations confirm what oystermen have long known
10 and advocated. We cannot help but feel that it is unfor-
11 tunate that it was necessary to spend four years and a
12 million and a half dollars to prove that which was already
13 a known fact, but happily that has now been done to every-
14 one's satisfaction except, of course, the polluters.

15 I might add parenthetically here, Mr.
16 Chairman, that we especially appreciate the concise
17 clarity with which the report has been submitted to the
18 public. This is an important aspect of the understanding
19 which those people who are not technically capable of
20 understanding many of the intricacies of the problem need
21 in order that they may take their rightful place in any
22 discussion and dialogue of a problem so basic to them.

23 Up to now, oystermen have waged the battle
24 for clean water from the point of view of a relatively
25 small industry fighting for its very existence and out of a

PHILIP H. PARKER

1
2 deep-seated conviction that man, so completely dependent
3 upon water as he is, must learn to place his purely economic
4 interests in this vital resource in a position of second-
5 ary importance behind the primary concern for the pro-
6 tection and preservation of the resource itself. This
7 latter conviction remains paramount in our thinking today,
8 but our view of our economic interest in water has vastly
9 been altered in the past two weeks.

10 At the twenty-first annual convention of
11 our Association last month we were presented a thoughtful,
12 well-researched and documented paper by a widely known
13 and highly respected fisheries biologist which disclosed
14 that the Puget Sound was potentially capable of producing
15 annually an amount of oysters equal to the total produc-
16 tion of all fisheries products now produced in the entire
17 United States. This revelation staggers the imagination.
18 At the same time, it drastically alters our industry's
19 self image. The implied responsibility to fully utilize
20 this vast food-producing potential in a world that is
21 crying for increased production of scarce protein looms
22 immediately. The possibility of transforming an industry
23 which now contributes about 10 million dollars annually
24 to the economy of Washington to one adding something
25 around 10 billion dollars a year is exciting, is

1 PHILIP H. PARKER

2 challenging, and, needless to say, intriguing.

3 The paper to which I refer was authored by
4 Mr. Ronald E. Westley, Senior Biologist in charge of the
5 Washington State Department of Fisheries Point Whitney
6 Shellfish Laboratory. I wish to request your permission,
7 Mr. Chairman, to offer a copy of this significant work
8 for inclusion in the official records of this Conference.

9 CHAIRMAN STEIN: How long is that statement,
10 that paper?

11 MR. PARKER: About four or five pages.

12 CHAIRMAN STEIN: Without objection, that
13 will be included as if read.

14 (The paper referred to follows:)

15 "THE OYSTER PRODUCING POTENTIAL OF PUGET SOUND

16 "State of Washington
17 DEPARTMENT OF FISHERIES
18 Research Division

19 "Ronald E. Westley
20 Fisheries Biologist
21 August 1967

22 "Evaluation of the oyster producing potential
23 of Puget Sound is a complex task, involving examination of
24 the many widely differing circumstances and conditions which
25 control oyster production. I believe that such an evaluation
is both desirable and necessary for three important reasons.

(1) Good stewardship of our resources requires a basic

PHILIP H. PARKER

1
2 understanding of their potential. (2) The current pre-
3 dicted need for additional sources of food makes it
4 necessary to know what our resource is capable of. (3)
5 It is only thru full realization of the magnitude of the
6 oyster producing potential of Puget Sound that adequate
7 consideration can be given to this resource in the con-
8 tinually increasing competition for use of the water.

9 "Many biological, hydrographic, and geo-
10 graphic factors, along with cultural techniques, inter-
11 relate to determine what the oyster producing potential
12 of Puget Sound is. Demand for oysters, economics, and
13 competition for use of the water area will determine what
14 portion of this potential will actually be realized.

15 "In making this evaluation I would first
16 like to briefly consider some aspects of demand, and
17 secondly go on to review in some detail the actual pro-
18 ducing potential of Puget Sound.

19 "Demand for oysters is governed by many
20 factors. Some clues that seem particularly important in
21 evaluating demand are past and present rates of oyster
22 production and the reasons for changes; the trend of human
23 population; and the general availability of food, present
24 and future.

25 "Figure 1 presents an evaluation of oyster

PHILIP H. PARKER

1 production in the United States taken from Engle (1966).

2 This shows that U. S. oyster production has declined at
3 a fairly constant rate for the past 50 years. These data
4 also indicate that a majority of this decline has occurred
5 on the East Coast of the United States where many areas
6 have gone out of oyster production (for various reasons
7 including pollution, over-harvest, set failures, and oyster
8 diseases). Figure 1 also shows that oyster production on
9 the Pacific Coast while fairly low, has remained stable
10 over the past several years.
11

12 "Changes in population, both locally and
13 nationally, will also have an important effect on future
14 demand for oysters as well as the general world food supply.
15 There are many different sources or experts available on
16 the subject of population increase (Panel on oceanography
17 1966 (Larkin 1965) Senti 1967); but there does seem to be
18 some agreement that world population will double by the
19 year 2,000, and may go up as much as 10 times the present
20 figure before it levels off. The State of Washington is
21 expected to grow faster than the national rate, and it is
22 anticipated that the population of this state will nearly
23 double by 1985 (Washington Department of Commerce and
24 Economic Development).

25 "The present available food supply and the

1 PHILIP H. PARKER

2 potential for increase is another important aspect of
3 this problem. In the report of the Panel on Oceanography
4 (1966), it is stated that there is now a world-wide
5 shortage of protein food and that about half of the
6 mortality of children between ages 1 and 5 is due to
7 a protein-deficient diet. Agricultural experts (Senti
8 1967) indicate real concern about making adequate in-
9 creases in food production from the land.

10 "It seems clear that because of the nationally
11 decreasing oyster production, the increasing population,
12 and the present food shortage, there should be a continuing
13 increase in demand for good oysters. Any area capable of
14 economically competitive production should be able to sell
15 increased quantities of suitable quality oysters.

16 "Next, I would like to make some evaluation
17 of the oyster producing capabilities of Washington State
18 and particularly of Puget Sound. Some of the basic factors
19 that are important in such an evaluation are basic fertility
20 of the water, extent of the suitable area available, and
21 cultural techniques that fit the environment.

22 "The water must have high fertility (an
23 abundance of oyster food) in order to sustain any major
24 increase in oyster production. Puget Sound has long been
25 recognized by professional oceanographers as a unique body

PHILIP H. PARKER

1 of water. For a number of complicated reasons it is
2 quite high in its supply of chemical nutrients; however,
3 it is only recently that studies have progressed to a
4 point where the tremendous fertility and food producing
5 ability of Puget Sound has been truly recognized. Ander-
6 son (1967), studying primary productivity (the basic con-
7 version of chemical nutrients into living plant material)
8 in Puget Sound, comments that primary productivity rates
9 in Puget Sound are among the highest observed in marine
10 waters around the world. Recent work by our laboratory
11 (Westley 1967) (Westley et al 1967) also confirms the
12 amazing fertility or productivity of Puget Sound.
13

14 "Primary productivity (or basic plant
15 production) in the sea is no final solution to the problem
16 of producing food for humans. To be of real value this
17 plant production must be converted to animal protein.

18 "It is a well known fact that each time
19 conversion to the next highest step in the food chain
20 occurs, there is a major loss. Therefore, the more times
21 the basic plant production has to be converted before the
22 food can be used for humans, the lower the ultimate produc-
23 tion will be.

24 "Because the oyster feeds directly upon
25 the basic plant material, it is one of the most effective

1 PHILIP H. PARKER

2 organisms in the marine environment for conversion of
3 plant material to animal protein.

4 "From the foregoing it seems evident
5 that if the tremendous fertility of Puget Sound could
6 be combined with the efficiency of the oyster con-
7 verting this fertility to animal protein we would have
8 a highly effective system for large scale production
9 of animal protein.

10 "The next question to consider might
11 logically be the available area for expanding oyster
12 production in Puget Sound. At the present time, many
13 of the more favorable intertidal areas for conventional
14 bottom-culture of oysters are in use. While it seems
15 evident that significant increases in oyster production
16 thru conventional bottom-culture could be made, these
17 increases are definitely limited.

18 "There is however, a different method of
19 oyster culture, such as is practiced in Japan, and to
20 a limited extent here on the Pacific Coast, involving
21 raft or floating culture of oysters (Cahn 1950, Quayle
22 1956). This method would appear to offer tremendous
23 potential for increased oyster production, both because
24 of the greatly increased surface area it would make avail-
25 able, and because it would utilize up to 15 feet of the

PHILIP H. PARKER

1
2 water depth. Also, by using appropriate modifications
3 of the basic floating method, it would appear that wave
4 action or exposure would not be a significant problem
5 in any portion of Puget Sound. In addition floating
6 oyster culture offers advantages of nearly double growth
7 rates and improved fatness. It does have the disadvan-
8 tage of heavy initial financial outlay (Quayle 1956).

9 "To determine the total amount of area
10 potentially available in Puget Sound for floating oyster
11 culture, I have utilized data published by the University
12 of Washington Department of Oceanography (McLellan 1954)
13 on area and volume of greater Puget Sound (Figure 2).
14 Based upon the need for boat access along the shore line,
15 and the difficulties that would be encountered in anchoring
16 floats in water depths greater than 20 fathoms, the sur-
17 face areas between the 3 and 20 fathom contour was selected
18 as being suitable. There are about 442 square nautical
19 miles of surface area within this depth range in the
20 greater Puget Sound area. If an attempt were made to
21 utilize all of this area, major problems would be en-
22 countered because of public health, pollution, water
23 traffic, and recreation. However, it seems reasonable
24 to believe that perhaps half of this area could be made
25 available for floating oyster culture if demand and need

PHILIP H. PARKER

1
2 for food became great enough.

3 "Thus of the 767.6 square nautical miles
4 of Puget Sound, 442 lie in the zone between 3 and 20
5 fathoms depth. If we would consider that half of this
6 could be available for floating oyster culture, we are
7 considering an area of about 221 square nautical miles
8 or approximately 187,408 square surface acres. This
9 would be about 28% of the total surface area of Puget
10 Sound.

11 "Various estimates of the yield per acre
12 from floating oyster culture are available. Quayle (1956)
13 reports a figure of up to 8,000 bushels per acre per year
14 for Japan. Converting Quayle's figure of 8,000 bushels
15 to pounds of meat on the basis of 1 gallon per bushel,
16 and 8 pounds of meat per gallon, we arrive at a figure
17 of 64,000 pounds per acre per year. The Panel on Ocean-
18 ography (1966) reports 16,000-32,000 pounds per acre per
19 year from Japan. Thus the available estimates on annual
20 production of oysters by the floating method range from
21 16,000 to 64,000 pounds per acre. Table 1 presents the
22 per acre production figures for floating oyster culture
23 and, for comparison, production figures for several other
24 marine and land crops. From this we see a production of
25 around 300 pounds per acre per year for upland crops,

PHILIP H. PARKER

1
2 600 pounds per acre per year for oyster production on
3 the east coast of the United States; 800 pounds per acre
4 per year for conventional bottom oyster culture in
5 Washington and estimates of 16,000 to 64,000 pounds
6 per acre per year for floating oyster culture in Japan.
7 This would seem to clearly demonstrate the tremendous
8 food producing potential of floating oyster culture.

9 "Finally, Table 2 puts some of these figures
10 together to make an estimate of the oyster producing po-
11 tential of Puget Sound. Using 221 square nautical miles
12 for the available area and 32,000 pounds per acre per
13 year (a median figure) as the yield, the calculated
14 potential yield from floating oyster culture would be
15 about 6 billion pounds of meat per year for Puget Sound.
16 To illustrate the magnitude of this figure, I have
17 utilized data presented in Figure 3, taken from Larkin
18 (1965), illustrating annual total fisheries production
19 by various nations. I think it is particularly significant
20 to note that the total U. S. fisheries production, all
21 species, is now about 6 billion pounds per year or roughly
22 equivalent to the amount I have calculated for the potential
23 oyster production of Puget Sound.

24 "I don't pretend to be able to forecast
25 whether or not this oyster production will ever be reached

PHILIP H. PARKER

1
2 in Puget Sound. Many problems would have to be met and
3 overcome to accomplish this.

4 "First of all, there must be demand;
5 second, this production must be economically competitive;
6 third, we must have an adequate seed oyster supply:
7 fourth, the needed water area would have to be set aside
8 for this use; and fifth, the waters will have to be pro-
9 tected from pollution. However, certain other positive
10 factors would seem to hold promise for a change in the
11 outlook for our oyster industry.

12 "1. Population is rapidly increasing, and
13 there is a need for new sources of food.

14 "2. Oyster production in Puget Sound would
15 be clearly under United States control and not subject to
16 harvesting by foreign nations. In contrast any extensive
17 fishery developed on the high seas could be subject to
18 harvesting by foreign nations.

19 "3. Puget Sound is a tremendously rich
20 estuary, capable of enormous food production.

21 "4. The oyster would be one of the most
22 effective methods of converting the food producing potential
23 of Puget Sound into animal protein.

24 "5. Floating oyster culture is a tested
25 method, known to produce enormous quantities of food, and

PHILIP H. PARKER

1
2 the basic technique could be quite successfully carried
3 out in Puget Sound.

4 "From this, one fact emerges very clearly,
5 Puget Sound is an extremely valuable resource capable of
6 very substantial food production. I think every effort
7 must be made to protect and preserve this resource so
8 this potential will not be wasted or destroyed.

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Table 1

Land Crops

Swine (Cultivated Land) 450 lb. per acre per year¹

Cattle (Grass Land) 5- 250 lb. per acre per year¹

Oyster Bottoms

Chesapeake Bay 600 lbs. per acre per year¹

Washington State

20 cases of seed per acre
x15 gal. per case yield
 300 gal. per acre yield
x8 lbs. per gal.
 2400 lbs. per acre yield
 $\div 3$ years per crop = 800 lbs. per acre
 per year

Floating Oyster Culture

Japan 16,000 - 64,000 lbs. per acre per year^{1 & 2}

¹ Panel on Oceanography, 1966

² Quayle, 1956

Table 2

Total Surface Area of Greater Puget Sound

767.6 square nautical miles

Surface Area Between 3 & 20 Fathom Depth Contours


$\frac{442}{2}$ square nautical miles

221 square nautical miles

$\frac{767.6}{221}$ = Approx. 2.8% of the Surface Area of
Puget Sound


221 sq. naut. mi = Approx. 187,408 square acres

187,408	square acres
<u>x 32,000</u>	lbs. per acre per year
374816000	
<u>562224</u>	
5,997,056,000	lbs. per year



Puget Sound, unit-areas
McLellan, 1954


WORLD CATCH OF FISH AND SHELLFISH BY
LEADING COUNTRIES 1955 - 65



U.S. OYSTER PRODUCTION
(IN MILLIONS OF POUNDS)

--- EASTERN UNITED STATES
--- WESTERN UNITED STATES

Engle, 1966



IN MILLION POUNDS

170

60

50

40

30

20

10

100

90

80

70

60

50

40

30

20

10

1880

'90

'95

1900

'05

'10

'15

'20

'25

'30

'35

'40

'45

'50

'55

'60

'65

1970

PHILIP H. PARKER

"REFERENCES

"Anderson, G. C.

"1967. Initiation of phytoplankton blooms. Paper presented at Pacific Oyster Mortality Workshop, Seattle, Wash., May 1967.

"B. C. Dept. of Fisheries

"1954. Floating oyster culture. Oyster Bull. 5 (2): 1-4.

"Cahn, A. R.

"1950. Oyster culture in Japan. U. S. Fish. Wildl. Serv. Fishery leaflet 383, 80p.

"Dept. of Comm. and Econ. Develop., State of Wash.

"1967 Estimated total labor force employment and population Washington State 1965-1985. Olympia, 1p.

"Engle, J. B.

"1966. The molluscan shellfish industry current status and trends. Proc. Nat. Shellfish Assn. 56: 13-21.

"Larkin, P. A.

"1965. North American fishery potential. In the Fisheries of North America, Washington D.C. 72p.

"McLellan, P. M.

"1954. An area and volume study of Puget Sound, Washington. U. of Wash. Dept. of Oceanography, Tech. Rept. 21. 39p.

"Presidents Science Advisory Committee, Panel on Oceanography

"1966. Food from the sea. In Effective Use of the Sea, Washington, D. C. 144p.

PHILIP H. PARKER

"Quayle, D. B.

"1956. The raft culture of the Pacific oyster in British Columbia. Fish. Res. Bd. Can., Prog. Rept. 107: 7-10.

"Senti, F. R.

"1967. World food supply. Science 155 (3764): 874-875.

"Westley, R. E.

"1967. Some relationships between Pacific oyster (Crassostrea gigas) condition and the environment. Proc. Nat. Shellfish Assn. 55: 19-33.

"Westley, R. E., A. J. Scholz, C. E. Woelke, and M. A. Tarr

"1967. Pacific oyster mass mortality studies. State of Washington, Dept. of Fisheries, Summary Report, Olympia 45p."

MR. PARKER: Mr. Westley points out, among other things, that one of the basic conditions to the realization of this gigantic food-producing potential is that "the waters will have to be protected from pollution", to which we can only add amen.

Pollution of the Puget Sound as seen from this new and lofty vantage point takes on an equally new and challenging significance. No longer can degradation of these waters be viewed as only a "minor and vexing necessity of our industrial establishment." No longer can it be seen in terms of the primacy of one big industry

1 over the requirements of a small and struggling group
2 of farmers bravely, although be it somewhat pathetically,
3 battling for their own self-interest. The order of
4 magnitude of the problem has changed. It must now be
5 seen and dealt with for what it really is. The question
6 now becomes: Shall the reckless self-interest of the
7 polluters continue to be allowed to thwart the vast pro-
8 tein productive capacity and the considerable economic
9 potential of these rich waters? Oystermen say the answer
10 is not just a simple "no", but an emphatic unequivocal
11 "hell, no".

12 We are confident the citizens of this State
13 join us enthusiastically in this position and we call
14 upon--yes, we demand--the immediate and full implementation
15 of the recommendations of the report of this Conference,
16 and we ask that our public officials and our industrial
17 leaders recognize and accept their responsibility for the
18 accomplishment of the objectives of this report at the
19 earliest possible date.

20 Thank you for inviting us.

21 CHAIRMAN STEIN: Thank you, Mr. Parker.

22 Are there any comments?

23 MR. HARRIS: No.

24 CHAIRMAN STEIN: Both Mr. Parker and Mr.
25 Lasater sort of anticipated objections. At the present

1 time I have heard nothing in the record that indicates
2 substantial disagreement with the Federal and State
3 reports. Maybe I am overly optimistic.

4 We will have a 15-minute recess. Don't
5 go away, because the cereal is getting thick. (Laughter)

6 (RECESS)

7 CHAIRMAN STEIN: May we reconvene?

8 Before Mr. Harris continues with the
9 State invitees, I would like to repeat the announce-
10 ment I made this morning. We will accept as many
11 statements as we possibly can until 5 o'clock. If
12 we can't complete all of them by that time, we will
13 recess and reconvene at the same place at 9:30 to-
14 morrow. That, of course, will depend upon the length
15 of the statements and the number of people who wish
16 to comment.

17 Again, I want to emphasize that our
18 reason for being here is to hear all pertinent informa-
19 tion. No one is going to be cut short or cut off as
20 long as he has anything relevant to say, the state-
21 ments are germane and not repetitious. But recognizing
22 the fact we have physical limitations with a certain
23 human frailty, we can do just so much in one day.

24 Mr. Harris, please continue. You may
25 continue until 5 o'clock.

1 STATE PRESENTATION (Continued)

2 MR. HARRIS: As the first speaker after
3 the recess, I should like to call on Mr. Donald J. Benson,
4 Executive Secretary of the Northwest Pulp & Paper
5 Association.

6 PULP AND PAPER INDUSTRY PRESENTATION

7 STATEMENT OF DONALD J. BENSON

8 EXECUTIVE SECRETARY

9 NORTHWEST PULP & PAPER ASSOCIATION

10 MR. BENSON: Conferees, Mr. Stein, Mr. Poston,
11 Mr. Harris.

12 My name is Donald J. Benson. I am Executive
13 Secretary of the Northwest Pulp & Paper Association.

14 This non-profit corporation was founded in 1957 by the
15 pulp and paper industry of Oregon and Washington to con-
16 duct technical investigations, to sponsor research and
17 to prepare information regarding air and water quality
18 control for this industry.

19 We have followed the FWPCA survey of Puget
20 Sound waters of 1962-1966 and have reviewed the resulting
21 report, "Pollutional Effects of Pulp and Paper Mill Wastes
22 in Puget Sound", dated March 1967. We solicited advice
23 and counsel in this review from professional experts of
24 various talents, both from within the industry and from
25 those outside the industry. These consultants have all

1 DONALD J. BENSON

2 practiced in the Pacific Northwest and several are nationally
3 known for work in their fields.

4 Upon reviewing the information presented
5 in the FWPCA report and the results of research conducted
6 by other workers, we arrive at conclusions very different
7 about the effects of pulp mill waste discharges in Puget
8 Sound from those of the Federal study group.

9 Although many of the basic field data presented
10 in the report are useful, questionable laboratory experi-
11 ments and inadequate analyses of the data lead to some
12 serious errors in conclusions. A number of interesting
13 hypotheses are developed in the Federal report, but these
14 are not followed up with adequate facts upon which to
15 base conclusions. In our testimony today we will discuss
16 the methodology of investigation, the interpretation of
17 the data and suggest explanations for the conflicts be-
18 tween the reported conclusions and observable field
19 conditions.

20 We believe that this testimony will show
21 that the present levels of spent sulfite liquor in outer
22 bays and harbors are not harmful to any other legitimate
23 water uses and that the use of the Pearl-Penson Index near
24 the levels of minimum detectability is not a proper and
25 scientifically valid use of the test.

DONALD J. BENSON

A great deal of time and effort of the Puget Sound survey was spent in establishing a relationship between artificially spawned oyster larvae and spent liquor as measured by the Pearl-Benson Index.

It has been known for a number of years that in the first few hours of embryonic development, oyster larvae are affected by spent sulfite liquor, but this is not important because nowhere in Puget Sound does spent sulfite liquor come in contact with oyster larvae. This is because the temperatures of the northern portions of the Sound are generally too low for natural oyster spawning and setting. Wild oysters are found in North Puget Sound in very limited areas and the commercial beds in the Bellingham-Anacortes area must rely upon purchased oyster spat brought in from other areas, because low temperatures inhibit natural sets.

The use of bioassay results on oyster larvae, a form not even present in the waters in question, cannot be accepted as an indication that damage occurs to other forms of marine life which are present in obviously great and healthy quantities.

While we continue to believe that relating bioassay results to the nonexistent oyster larvae is a non sequitur, we must question the method of establishing the

1 DONALD J. BENSON

2 levels at which the laboratory-spawned larvae exhibited a
3 response to spent sulfite liquor.

4 The test procedure for the oyster larval
5 bioassay is not considered adequate for establishing finite
6 levels of field conditions. It has been the experience
7 of many scientists using bioassay techniques that small
8 scale laboratory experiments are more critical to living
9 forms than similar conditions found in the environment.

10 Professor Wilbur Breese of the Yaquina Bay
11 Laboratory at the Oregon State University found that by
12 increasing the temperature of the oyster larval bioassay
13 to a level more nearly suited to natural spawning and egg
14 development conditions, the response to spent sulfite
15 liquor levels was reduced significantly. At normal
16 temperatures only one-half to one-third of the response
17 was observed. This may indicate that the oyster larvae
18 under the test condition reported by the FWPCA were being
19 so stressed that any slight additional stress of a
20 foreign substance such as SSL was enough to indicate a
21 very sensitive response.

22 The Pearl-Benson Index is at best an
23 approximate indicator of levels of spent sulfite liquor
24 and is not at all satisfactory at the lower levels of
25 sensitivity. The test indicates the presence of materials

DONALD J. BENSON

1
2 having chemical structures resembling lignin whether
3 emanating from a pulp mill or other sources either man-
4 made or natural. For example, the apparent PBI response
5 in Lake Washington where there are no pulp mills frequently
6 exceeds 10 parts per million.

7 Dr. J. L. McCarthy, who has been the prin-
8 cipal investigator of the pulp mill research group at the
9 University of Washington since its inception in 1944, will
10 comment briefly on the Pearl-Benson test later in this
11 Conference.

12 The test tube response of spent sulfite
13 liquor to the Pearl-Benson Index test will persist long
14 after many of the materials which may have originally been
15 associated with the lignin portions are degraded.
16 Observations verifying this persistence have been docu-
17 mented and reported in the 1960 Gunter-McKee Report.
18 This same relationship has been shown to hold for other
19 pulping process effluents. Therefore the use of the PBI
20 test for biologically related effects is severely limited
21 by a lack of specificity. Mr. Eugene P. Haydu, a research
22 biologist employed by the Weyerhaeuser Company, has just
23 completed an assignment to the National Technical Advisory
24 Committee on Aquatic and Animal Life. This committee
25 appointed by Secretary of the Interior Udall was charged

1 DONALD J. BENSON

2 with establishing guideline criteria for judging water
3 quality standards of the states. Mr. Haydu will discuss
4 the deliberations of this expert committee on this matter
5 later in this Conference.

6 The FWPCA report contention that the response
7 of larval oysters is indicative of the response of many
8 other forms found in the bays can be evaluated by only
9 one project on a form indigenous to Northern Puget Sound
10 waters, the English sole egg. Here again further work
11 shows that the test conditions, particularly the use of
12 poor, artificially spawned eggs, were a primary factor in
13 the response to spent sulfite liquor. In addition, field
14 observations do not substantiate the FWPCA laboratory
15 findings. For example, it is important to note that Post
16 Gardner is the primary producer of English sole for the
17 Puget Sound market and shows no signs of a diminishing
18 supply.

19 Dr. T. Saunders English, who is recognized
20 for his research on English sole, will describe his work
21 later today. His results conclusively refute the con-
22 tention that the English sole egg is affected by levels
23 of SSL found in the outer bays. This also destroys the
24 thesis that the larval oyster bioassay can be used to
25 predict the response of another species or form of marine

DONALD J. BENSON

organisms.

In other studies the FWPCA report attempts to establish a correlation between various parameters of adult and juvenile oysters and distance from the mill outfall.

Only the Bellingham area was included in these studies. The FWPCA report claims an adverse reaction at Station A, less than three miles from the outfall. The South Bellingham-Samish Bay area, where oysters are cultivated, is 10 to 12 miles from the outfall and is situated outside of the general pattern of waste distribution. The following observations raise serious questions regarding the FWPCA report.

1. Station A lies in the path of the Nooksack River discharge where effects of reduced salinity may have produced the results noted. The mortality rate at A was about 15 percent against about 4 percent to 8 percent at the other stations. A mortality of 10 percent is not unusual on producing beds.

2. An analysis of the data collected at the remaining stations shows that the FWPCA hypothesis of mortality increasing toward the mill is not substantiated.

3. Water quality data was collected only once each month. Even these infrequent samplings revealed

DONALD J. BENSON

1 a salinity range at Station A from 6 to 29.6 parts per
2 thousand. The lower ranges may have resulted in the poor
3 oyster response with prolonged exposure. One week of
4 exposure below 10 to 13 parts per thousand^{has}/been demonstrated by
5 other investigators to cause adverse effects upon both
6 survival and condition factor of oysters.
7

8 4. The FWPCA data of oyster growth studies
9 show that, except for Station A, growth was generally greater
10 at stations with higher levels of SSL. Interestingly
11 these data were considered invalid and were ignored in
12 the FWPCA analysis.

13 5. An analysis of the data supplied for
14 Stations B through G shows no correlation between dis-
15 tance from mill or SSL to condition factor and mortality
16 in Bellingham Bay.

17 An additional study described in the FWPCA
18 report is used to conclude that the SSL concentrations
19 are inimical to plankton activity in Port Gardner and
20 Bellingham Bay. Port Angeles plankton data were not
21 reported.

22 The report states that nearly equal numbers
23 and varieties of plankton are found throughout both
24 Bellingham Bay and Port Gardner. This observation holds
25 even for the several stations very near to mill outfalls.

1 DONALD J. BENSON

2 The conclusions that planktonic activity
3 is reduced near these outfalls is not supported by pre-
4 vious work where other methods for observing these
5 phenomena were used

6 The methods and analyses used for reaching
7 conclusions about the effect of the mills on phytoplankton
8 activity are open to serious question. The available
9 information about Puget Sound in general and Port Gardner
10 in particular does not lead to a conclusion that concen-
11 trations of spent sulfite liquor cause a meaningful problem
12 for planktonic activity. Mr. Charles S. Yentsch of the
13 Woods Hole Oceanographic Institute, an internationally
14 recognized specialist on biological oceanography, par-
15 ticularly in the areas of phytoplankton, chlorophyll and
16 productivity, will discuss this later in this conference.
17 Mr. Yentsch studied at the University of Washington and
18 also published original research on phytoplankton in
19 Puget Sound.

20 It is our position that the foregoing com-
21 ments and questions, supported by the expert testimony to
22 follow regarding the studies of oyster larvae and English
23 sole egg bioassay, adult oysters and plankton activity,
24 refute the conclusions of the FWPCA report regarding spent
25 sulfite liquor standards.

DONALD J. BENSON

1
2 Therefore, the requirement of spent liquor
3 solid recovery as suggested by the report is unwarranted.
4 Levels of spent sulfite liquor in Puget Sound are not
5 harmful to other uses and users of the waters. It is
6 the conclusion of the industry that an expenditure in
7 excess of 40 million dollars required for installations
8 essential to such recovery is not justified for the in-
9 consequential benefits that might be derived. Further,
10 the cost of evaporation and burning of spent sulfite liquor
11 would be increased substantially because of air pollution
12 control requirements expected due to the locations of
13 all of the mills in question. In certain cases substan-
14 tial improvements of inner bay water quality may be
15 achieved either by the removal of settleable solids or
16 better outfall location at costs much more commensurate
17 with expected results.

18 We have one final comment regarding the
19 FWPCA report. Tests were run on fingerling salmon holding
20 them in live boxes very close to the mills and waterfront
21 docks under particularly unfavorable circumstances of wind
22 and tide. The fish in some of these boxes were affected,
23 apparently, by toxic materials occasionally released by
24 sludge beds close to the municipal waterfronts. The report
25 offers no evidence that such troubles beset naturally

DONALD J. BENSON

migrating fingerlings except in rare instances when they might be present in these areas at unfavorable times.

Studies by the University of Washington Fisheries Research Institute of fish migration patterns and successes in the Everett area lead them to the conclusion that mill operations do not appreciably affect the fishery. Dr. Ernest Salo, Associate Professor with the Institute, will discuss these studies later in the conference.

Dr. Katz will give us his thoughts on the salmon and steelhead fisheries production of Puget Sound later. He notes that the Nooksack River, which flows into Bellingham Bay, is one of the few Puget Sound streams showing a consistent and substantial increase in the production of chinook salmon.

The explanation for the apparent contradiction between the field studies on salmon and the conclusion of the FWPCA report are:

1. The restricted areas and limited times that any water conditions are adverse to fish, and
2. The relatively few natural migrants that are found in these areas at such times.

We suggest that the removal of any existing sludge deposits be thoroughly studied before such a difficult and costly task is undertaken.

1 DONALD J. BENSON

2 We appreciate this opportunity to present our
3 views on the Federal report. The study was a monumental
4 undertaking and supplies much additional information on Puget
5 Sound. We do not wish to detract from the usefulness of the
6 field data portion included in the report, but we do feel
7 obligated to point out that the analysis of the information
8 collected by the Federal scientists is open to various other
9 interpretations by equally dedicated and talented engineers
10 and scientists working in this field.

11 In addition we respectfully ask for one other
12 consideration. Because of the very technical nature of this testi-
13 mony presented in these proceedings we request that the record be
14 held open for a period of two weeks to allow the Conferees time to
15 adequately review the scientific testimony and permit the submis-
16 sion of additional comments and reference material. We suggest, for
17 instance, that the proceedings of the Water Quality Standard Serv-
18 ice at Mount Vernon and at Port Angeles be included in this record.

19 Thank you.

20 (The hearings referred to are marked Exhibit 3
21 and are on file at the FWPCA Headquarters in Washington, D.C.,
22 with copies on file at the FWPCA Regional Office in Portland,
Oregon, and the State of Washington WPCA office in Olympia,
Washington.)

23 CHAIRMAN STEIN: Thank you, Mr. Benson. Why
24 don't you wait a minute now?

25 Are there any comments or questions?

DONALD J. BENSON

1 MR. HARRIS: I have none at this time.

2 CHAIRMAN STEIN: Mr. Poston?

3 MR. POSTON: I have none.

4 CHAIRMAN STEIN: Mr. Benson, you asked
5 first that the record be held open for a period of two
6 weeks.

7 MR. BENSON: Yes, sir.

8 CHAIRMAN STEIN: Do you represent all
9 the mills named in the report?

10 MR. BENSON: All but one.

11 CHAIRMAN STEIN: Which one is that?

12 MR. BENSON: Rayonier.

13 CHAIRMAN STEIN: Do you know if they join
14 with you in this request?

15 MR. BENSON: I do not know.

16 MR. PERKINS: We join in that request. My
17 name is De Forest Perkins. I am attorney for Rayonier.

18 CHAIRMAN STEIN: Now, let's see if I under-
19 stand, as I can get here, the areas of agreement.

20 As I understand your statement here, the
21 question of removing the solids and improving the outfall
22 lines so you get maximum diffusion, you are in agreement
23 that this should be done?

24 MR. BENSON: In some cases, yes.

25 CHAIRMAN STEIN: Pardon?

1 MR. BENSON: In some cases, yes.

2 CHAIRMAN STEIN: How about the methods
3 indicated in the Federal report, these questions of what
4 they call primary treatment, removal of the solids and
5 the diffuser lines as indicated by the State of Washing-
6 ton? I don't think there is any difference or substantial
7 difference between the State and the Federal people on
8 this, as I understood their statements. Do I take it that
9 you concur with them in this?

10 MR. BENSON: I would really prefer the
11 individual mills to answer this, because there are some
12 nuances here that I think they would be better able to
13 describe in their statements later. Would this be all
14 right?

15 CHAIRMAN STEIN: That is fine. You know,
16 this is a conference.

17 The purpose of my inquiry is to narrow the
18 issues as much as possible. In other words, if we can
19 find a substantial area of agreement on what is required
20 for removing of settleable solids and diffuser lines,
21 then we may have just two areas of possible difference of
22 views and that may be the question of a reduction in the
23 strength of the sulfite waste liquor and the removal of
24 the sludge beds.

25 In reading your statement, I am not sure

1 that we may not be approaching an area of agreement in
2 the primary treatment operation and the diffuser line
3 operation.

4 MR. BENSON: I think this will become more
5 evident in particular when the individual mills make their
6 statements.

7 CHAIRMAN STEIN: Right. Are you going to
8 have both the scientific experts and the individual mills
9 make their statements?

10 MR. BENSON: Yes, we will have--

11 CHAIRMAN STEIN: There will be two dif-
12 ferent approaches?

13 Let me make one other comment for the
14 record. As I read this, and as you read this, I read it
15 along with you, there are a lot of conclusions here,
16 pretty flat statements.

17 MR. BENSON: Yes. I would hope to have
18 these backed up substantially with the expert witnesses
19 to follow.

20 CHAIRMAN STEIN: There was one point that
21 I was struck with in the Federal investigation--and again
22 this is a case where we want to join the issues--one, that
23 they didn't just take the measure of the sulfite waste
24 liquor itself--as you indicate, and as I think one of the
25 Federal investigators indicated, there may be defects in

1 this test--by itself, but they did this in correlation to
2 oyster mortality. Presumably they found a rather close
3 correlation. When you take these two factors together,
4 the fermentations and combinations suggest a relationship.
5 I don't know whether you feel this, and this is up to you,
6 whether you handle one or the other.

7 The second point is that, as far as I could
8 see in the Federal report, there was a corresponding
9 decrease in the sulfite waste concentration during the
10 period of the strike as measured by the Pearl-Benson
11 Index, again in direct correlation to the non-defects in
12 the oyster larvae.

13 Again I am trying to get the issue lined
14 up. This isn't a question, as I see it, of just taking
15 each single part of that and saying one is bad and the
16 other is bad. What the Federal report has purported to
17 do is to put them both together, and the explanation of
18 the relationship of the correlation to that is something,
19 I think, that we have to consider and meet.

20 MR. BENSON: I think that as our story
21 unfolds with the expert witnesses, some of this will be-
22 come more apparent.

23 CHAIRMAN STEIN: Right.

24 Any further questions or comments?

25 MR. HARRIS: I have no comments.

1 CHAIRMAN STEIN: All right.

2 Thank you very much, Mr. Benson.

3 MR. HARRIS: The next group of participants
4 will be the people named by Mr. Benson's report in the
5 order in which they were named.

6 Next would be Professor Joseph McCarthy.

7 STATEMENT OF JOSEPH L. McCARTHY

8 PROFESSOR IN CHEMICAL ENGINEERING

9 UNIVERSITY OF WASHINGTON

10 PROFESSOR McCARTHY: Mr. Stein, Mr. Poston
11 and Mr. Harris, ladies and gentlemen.

12 My name is Joseph McCarthy. I am a Professor
13 in Chemical Engineering at the University of Washington,
14 and for about the last two decades I have served as the
15 principal investigator of the Pulp Mills Research Project
16 which has been conducted at the University of Washington
17 under the sponsorship of the Northwest Pulp and Paper
18 Association.

19 I wish to comment today on the results of
20 investigations which have been conducted as part of this
21 program, that is particularly investigations which have
22 been carried out on the Pearl-Benson or nitroso method
23 for the estimation of sulfite spent liquor concentration
24 in fresh and salt waters, a procedure which I believe,
25 incidentally, was introduced and first used by Professor

1 JOSEPH L. McCARTHY

2 Benson and Dr. Pearl at the University of Washington in 1940.
3 The results of our investigations in this field have been pub-
4 lished in the TAPPI magazine in 1963 as three papers, and copies
5 of these are attached to this statement. I hope they may be
6 made part of the record.

7 CHAIRMAN STEIN: These will be, with your ap-
8 proval, included as exhibits in the record. They will be avail-
9 able in the offices of the Federal Water Pollution Control Ad-
10 ministration in Washington, D.C., and Portland, and in the State.
11 This is one of the documents which is published in a publication
12 found in most scientific libraries and is readily available,
13 so I think we can handle it as an exhibit.

14 (The papers referred to are marked Exhibit 4 and
15 are on file at the FWPCA Headquarters in Washington, D.C., with
16 copies on file at the FWPCA Regional Office in Portland, Oregon,
17 and the State of Washington WPCO office in Olympia, Washington.)

18 PROFESSOR McCARTHY: Very good. Thank you.

19 A further related investigation is still in
20 progress and this will also be described a little later.

21 More specifically, the initial investigations,
22 conducted by Mr. V. F. Felicetta and me, were published under
23 the title "Spent Sulfite Liquor, Paper X, the Pearl-Benson, or
24 Nitroso, Method for the Estimation of Spent Sulfite Liquor
25 Concentration in Water", (TAPPI 46, 337-347 (1963)). The
first two conclusions presented from this work were the
following, and I quote from the published paper:

JOSEPH L. McCARTHY

1
2 "1. For estimation of the concentration of
3 the spent liquors from sulfite pulp mills in fresh and salt
4 waters, the Pearl-Benson method based upon a nitroso lignin
5 color reaction is in common use in the Pacific Northwest
6 region of the United States.

7 "2. In an initial survey, estimations of
8 spent sulfite liquor concentrations in five water samples
9 by the Pearl-Benson method conducted in 19 Pacific North-
10 west laboratories yielded results which varied substantially
11 for the respective samples and this variation was apparently
12 caused largely by use in the several laboratories of some-
13 what different procedures for conducting the analyses."

14 After conducting this initial survey, Mr.
15 Felicetta and I, along with eight other collaborators,
16 developed, agreed upon and published the description of
17 an improved procedure under the title "A standardized
18 Pearl-Benson, or Nitroso, Method Recommended for Estimation
19 of Spent Sulfite Liquor or Sulfite Waste Liquor in Concen-
20 tration in Waters", which was published in TAPPI magazine,
21 Volume 46, No. 6, June 1963. Collaborators and co-authors,
22 along with Mr. Felicetta and with me, in this work
23 were the following persons: Professor C. A. Barnes
24 and Dr. E. E. Collias, the Department of Oceanography,
25 University of Washington, Seattle; Dr. Otto Goldschmid,

JOSEPH L. McCARTHY

1
2 Rayonier, Inc., Shelton, Washington; Dr. B. F. Hrutfiord,
3 Pulp Mills Research Program, University of Washington,
4 Seattle; Mr. A. Livingston, Washington State Pollution
5 Commission, Olympia; Mr. G. L. Toombs, Oregon Sanitary
6 Authority, Portland; M. Waldichuk, Fisheries Research
7 Board of Canada, Naniamo, British Columbia; Mr. Ron
8 Westley, Washington State Department of Fisheries, Quilcene.

9 These gentlemen were the co-authors of this
10 paper on standarized procedure. It was this procedure to
11 which reference was made in our third conclusion:

12 "3. Careful study of the several available
13 analytical procedures, and consideration and experimental
14 investigation of alternative possibilities by the authors
15 and by collaborating scientists, led to the selection of
16 what is hoped to be a generally acceptable standardized
17 method."

18 This standarized Pearl-Benson method was
19 estimated by us to give a precision of the order of .5 to .6
20 parts per million of apparent spent sulfite liquor on a
21 10 percent solids basis when carried out in a particular
22 laboratory. However, when the procedure was applied to a
23 number of water samples in several different laboratories
24 to permit estimation of reproducibility under these
25 conditions, the conclusion was as follows:

1 JOSEPH L. McCARTHY

2 "4. Estimations in 16 separate laboratories
3 of spent sulfite liquor concentrations in five sample
4 waters using substantially the procedure of the standardized
5 method yielded results showing standard deviations in net
6 absorbances of about plus or minus 0.007 to 0.014 equivalent
7 to about plus or minus 3 to 6 parts per million of spent
8 sulfite liquor containing 10 percent total solids."

9 Our fifth and last conclusion in part was
10 as follows:

11 "Although this standardized Pearl-Benson
12 or nitroso method for estimation of spent sulfite liquor
13 concentration gives satisfactorily reproducible results
14 and is relatively simple to carry out, the nitroso pro-
15 cedure may lead to erroneously high results when inter-
16 fering substances are present."

17 To illustrate this phenomena, the following
18 paragraph is quoted from Page 344 of our published paper:

19 "Waters I, IV, VIII, and X were salt,
20 fresh, fresh, and salt water samples, respectively, from
21 the Pacific Ocean, Lake Washington, Quilceda Creek, and
22 Deception Pass, respectively, into which no spent sulfite
23 liquor is discharged and no spent liquor was added to the
24 samples. However, about 2, 8, 1 and 3 parts per million
25 of apparent spent sulfite liquor concentrations,

1 JOSEPH L. McCARTHY

2 respectively, were found in these samples by PMR Laboratory M
3 using procedures similar to those of the standardized method
4 (10), thus illustrating the influence of the presence of
5 interfering substances."

6 Thus the Pearl-Benson nitroso method is
7 based on a common reaction for certain ortho-, meta- and
8 para- substituted phenols and other substances, as has
9 been discussed in some detail by E. F. Mohler and L. N.
10 Jacob in Analytical Chemistry magazine 29, 1369, 1957,
11 and by others. Interference may arise from such sub-
12 stances as certain phenols as those from or in tannins,
13 analine, xylidine, indole, urine, unhydrolyzed and
14 hydrolzyed fish meal, and other substances.

15 From these observations I conclude that
16 the Pearl-Benson method is a moderately sensitive and re-
17 producible procedure, but one which suffers from some short-
18 comings of non-specificity; that is, the Pearl-Benson reaction
19 takes place not only **with** lignin sulfonates but also with
20 other substances, which contain a molecular structure or
21 a molecular configuration similar to the configuration or
22 configurations present in lignin sulfonates which give
23 rise to the Pearl-Benson reactions.

24 In view of this imperfect specificity of
25 the Pearl-Benson method, several years ago as part of the

1 JOSEPH L. McCARTHY

2 Northwest Pulp and Paper Association sponsorship of an
3 investigation program we initiated research in what I
4 shall call the vanillin method for conducting the unique
5 determination of spent sulfite lignin concentration. A
6 preliminary report on this procedure was published by Mr.
7 Felicetta and me under the title "Spent Sulfite Liquor
8 XI Preliminary State of the Possibly Unique Determination
9 of Lignin Sulfonates in Water" published in the TAPPI
10 magazine 46, 1963.

11 Further work on this method is now in
12 progress in collaboration with Dr. Bjorn Hrutfiord at
13 the University of Washington with the assistance of a
14 grant of funds in the amount of \$47,896 over a three-year
15 period from the Research and Training Grants Program of
16 the Federal Water Pollution Control Administration,
17 Department of Interior.

18 At present it appears that this vanillin
19 method can now be carried out successfully to estimate
20 uniquely the concentration of spent sulfite liquor in
21 fresh waters, and we are hopeful that a somewhat modified
22 procedure can soon be specified which will give satis-
23 factory results in salt waters.

24 Thank you for the opportunity to make this
25 statement. I shall be glad to try to answer any questions

1 JOSEPH L. McCARTHY

2 which occur to you.

3 Thank you.

4 Before I cease, may I just make one correc-
5 tion? In the text on Page 3 there was clearly an error,
6 as you heard me pause, and it has got to do with the title
7 of that paper. It is on the bottom of Page 3, the next
8 line to the bottom, in place of the word "state", s-t-a-t-e,
9 the word should be "study", s-t-u-d-y. I am sorry.

10 CHAIRMAN STEIN: "Preliminary study"?

11 PROFESSOR McCARTHY: Yes.

12 CHAIRMAN STEIN: Thank you.

13 Thank you very much, Mr. McCarthy. Are
14 there any comments or questions?

15 MR. POSTON: I have a question.

16 CHAIRMAN STEIN: Yes.

17 MR. POSTON: You stated that the PBI measures
18 spent sulfite liquor. Are there times when it doesn't
19 measure?

20 PROFESSOR McCARTHY: I think so. When some
21 of the substances which interfere are present.

22 MR. POSTON: Then you would get a negative
23 result?

24 PROFESSOR McCARTHY: Oh, I think not. When
25 we get an erroneously high result.

1 MR. POSTON: That answers my question.

2 CHAIRMAN STEIN: As I understand your
3 statement, Professor McCarthy, the vanillin method that
4 you have developed to measure sulfite waste liquor is
5 available for fresh waters, but it is not perfected yet
6 for salt waters. In other words, your method is not
7 available for the waters that were tested here in the
8 survey?

9 PROFESSOR McCARTHY: Not in really satis-
10 factory manner. The preliminary paper we published in
11 1963 does give some results, I believe, on salt water
12 samples, but we have had trouble with salt crystalizing
13 out.

14 CHAIRMAN STEIN: Right.

15 PROFESSOR McCARTHY: And we can't quite do
16 it yet, but I think we are quite close to the solution of
17 that problem.

18 CHAIRMAN STEIN: But the point is, you say,
19 "we are hopeful that a somewhat modified procedure can
20 soon be specified which will give satisfactory results in
21 salt waters." In other words, your method is not available,
22 couldn't have been available for these people to use with
23 reliability in salt waters now?

24 PROFESSOR McCARTHY: That is correct.

25 CHAIRMAN STEIN: You also raised the point

1 that you may get into interference in using the Pearl-
2 Benson nitroso method, which presumably the Federal and
3 State joint investigators used and have been using,
4 interference which arise from such substances as phenols,
5 tannins, analine, and so forth. You heard the report this
6 morning, didn't you, Professor?

7 PROFESSOR McCARTHY: Yes.

8 CHAIRMAN STEIN: The point is, I think it
9 was stated by the investigator that when the mills shut
10 down the Pearl-Benson Index was zero or close to zero, and,
11 at least the way I understood, that it appeared that either
12 none was there or none of these other substances was around
13 to create interferences. The only conclusion that you
14 possibly may get is when the mills are in operation, either
15 it is measuring sulfite spent liquor or the mills are
16 putting out these substances which are creating inter-
17 ferences.

18 If this is the case, and there is a
19 correlation with what the mills are putting out and the
20 effect on the oysters, what is the difference?

21 PROFESSOR McCARTHY: I guess I don't really
22 understand your question. (Laughter)

23 CHAIRMAN STEIN: All right. Maybe it is a
24 rhetorical question. I am not asking you to understand it.
25 I am trying to understand the point. The record will be

1 open for two weeks, I hope.

2 PROFESSOR McCARTHY: I would be happy to
3 try to reply to your question, but I sincerely really
4 didn't understand what you asked me.

5 CHAIRMAN STEIN: The point is, if they
6 found zero in these, then there were no interfering sub-
7 stances.

8 PROFESSOR McCARTHY: At that time and place,
9 I think that is correct.

10 CHAIRMAN STEIN: Right. But they did find
11 readings when the mills were in operation. Now, there can
12 be two theories. One, naturally at that time and place
13 when the mills are shut down there were no interfering
14 substances. When the mills were in operation either they
15 were--maybe there were three theories and the third might
16 be either they were measuring spent sulfite liquor or they
17 were measuring one of these interfering agents which may
18 have been produced by the mill or maybe when they were
19 measuring at all times when the mills were in operation
20 somehow the interfering substances came into that area
21 naturally. The last seems unlikely.

22 Now, if they found the correlation with the
23 reading they got on the Pearl-Benson Index, whether this
24 was the interfering substance or the spent sulfite liquor
25 or whatever it was, and they related it to the mills in

1 operation and the effect on the oysters, isn't that the
2 point they were trying to prove? In other words, what
3 is the point of the interference issue when the Federal-
4 State report indicated when the mills were not in operation
5 evidently there weren't these interfering elements there
6 and they got zero or close to zero on Pearl-Benson?

7 PROFESSOR McCARTHY: If the method was
8 carried out approximately in accordance with the descrip-
9 tion that we made, I think our conclusion is that what is
10 measured is approximately the concentration of sulfite
11 spent liquor, provided that such interfering substances
12 are not present and within the precisions that I recited
13 to you.

14 CHAIRMAN STEIN: Right.

15 PROFESSOR McCARTHY: But it is a fact,
16 though, that interfering substances do occur, as you well
17 know--

18 CHAIRMAN STEIN: I don't think there is any
19 disagreement. As I understand the situation, when you
20 measure these, use the Pearl-Benson Index in certain waters
21 where you know sulfite waste liquors are not present, you
22 get certain reactions.

23 PROFESSOR McCARTHY: Surely.

24 CHAIRMAN STEIN: However, they did measure
25 them here when the plants were closed and you knew they

1 weren't there and the answer was close to zero. Then when
2 they measured it when the plants were in operation they
3 got a reading. Under that I am asking again--I am not
4 asking for your conclusion, but at least the indication
5 seems to come up that in that case where they didn't find
6 the interfering substances in those locations at the time
7 when the mills were closed, there may have been the
8 indication that they found sulfite waste liquor on the Pearl-
9 Benson Index when the mills were open and not the inter-
10 fering substances.

11 PROFESSOR McCARTHY: Well, our conclusion,
12 of course, in this whole study is that the method is a
13 moderately good reproducible one, but subject to these
14 limitations.

15 CHAIRMAN STEIN: Right. Thank you very
16 much.

17 MR. HARRIS: Thank you, Dr. McCarthy.

18 PROFESSOR McCARTHY: Thank you.

19 MR. HARRIS: The next expert on Mr. Benson's
20 panel is Mr. Haydu.

21 STATEMENT OF EUGENE P. HAYDU

22 WATER RESOURCES AND MANAGEMENT SECTION

23 WEYERHAEUSER COMPANY'S PULP RESEARCH DEPARTMENT

24 MR. HAYDU: My name is Eugene Haydu. I am
25 group leader of the Water Resources and Management Section

1 EUGENE P. HAYDU

2 of Weyerhaeuser Company's Pulp Research Department at
3 Longview, Washington.

4 Ladies and gentlemen, I have a stutter,
5 most of you know this but some of you may not, and I ask
6 for your kind patience while I read this statement.

7 I have a few comments to make about several
8 aspects of the FWPCA report. I assume that by now most
9 of you are familiar with these abbreviations, PBI, SWL,
10 FWPCA. My initial comments will deal with the Pearl-
11 Benson test, its adequacies and inadequacies as a realistic
12 measure of sulfite waste liquor in receiving waters. I
13 am not here concerned with the specificity of the PBI
14 test, that is, whether or not it measures only sulfite
15 waste liquor. The limitations of the test in this respect
16 are well recognized.

17 The terms PBI and sulfite waste liquor are
18 too frequently used interchangeably. This practice is mis-
19 leading and erroneous. The organic fraction of sulfite
20 waste liquor, like kraft wastes, consists of a great variety
21 of organic compounds ranging from those which rapidly de-
22 compose to those which degrade very slowly. The lignins
23 are the major organic components of kraft and sulfite
24 waste liquors. They are also quite stable, that is slow
25 to decompose. Due to their stability and to the fact that

EUGENE P. HAYDU

they occur in high concentrations, the lignins constitute an appropriate substance for tracing in receiving waters and for chemical analysis.

The PBI test has been developed to determine concentrations of lignin and related compounds as a measure of SWL. It is important to note that the test measures only the stable lignins and related compounds in SWL.

It does not measure a substantial portion of SWL which is degradable. Since PBI measures only some of the compounds in SWL, it is not a measure of total SWL and, therefore, the two terms cannot and should not be used interchangeably.

The toxicological and other physical and chemical characteristics of pulp mill effluents, including SWL, have been found to vary considerably during any given day in any given plant due to changes in pulp grades, species and sources of wood, and so forth. Considerable variation in effluent characteristics occurs even with a given pulp mill using similar cooking conditions. In view of the great complexity and variability of the characteristics of pulp mill wastes, it has been very difficult to find a satisfactory expression for concentration. For example, attempts have been made to relate toxicity to various dilutions of waste and to BOD, COD, total solids, PBI and various reference animals. None have yet proven

EUGENE P. HAYDU

to be very satisfactory.

Recent studies have shown that a substantial portion of pulp mill wastes, including the toxic components, are very susceptible to microbial degradation and destruction. In one study kraft mill wastes were found to be nontoxic to oysters at a dilution of 1 to 20 when the BOD of the wastes were reduced by 80 percent. In another study, the toxicity of kraft waste to silver salmon was found to diminish in approximate proportion to the degree of BOD reduction.

Results of the most recent investigations by scientists of the International Pacific Salmon Commission indicate a fairly close relationship between the degree of BOD reduction and decrease in the toxicity of kraft wastes. They found no apparent toxicity to salmon when the BOD was reduced by 65 percent. While similar studies have not been made with sulfite liquor, the available evidence indicates that the toxic components of this waste are also degradable. The toxicity of fresh sulfite waste liquor at a PBI concentration of 50 ppm would be much greater, therefore, than of biodegraded sulfite waste liquor at the same PBI concentration.

The composition and the toxic characteristics of sulfite waste liquor in receiving waters would vary,

1 EUGENE P. HAYDU

2 therefore, with time and distance from the point of dis-
3 charge even though similar PBI values may occur. In view
4 of this, and because of the great variability in the
5 characteristics of sulfite waste liquor, the setting of
6 PBI standards would be improper and unrealistic.

7 The setting of such PBI standards was sug-
8 gested to the National Technical Advisory Committee on
9 fish, other aquatic life and wildlife. The subject was
10 duly considered and discussed and the consensus of the
11 committee was to not include PBI in their recommendations
12 on the water quality requirements of fish, other aquatic
13 life and wildlife.

14 CHAIRMAN STEIN: Do you want to take comments
15 on both these statements at the same time?

16 MR. HAYDU: Well, sir, I had no way to know
17 what to expect, and so I prepared these--

18 CHAIRMAN STEIN: Why don't you go through
19 your second one? Is the second one related somewhat?

20 MR. HAYDU: I think they are related, so I
21 might as well complete this other.

22 CHAIRMAN STEIN: Certainly.

23 MR. HAYDU: I might add that I am having
24 some speech therapy, and of course this is old hat to most
25 of you and I hate to impose myself upon you, but to me it

EUGENE P. HAYDU

1
2 is extremely important. Oddly enough, to overcome
3 stuttering I have to stutter. Well, here I am not making
4 an effort. I am. (Laughter)

5 They have some rather neat little techniques,
6 you know, that are supposed to help as you become more
7 refined in this thing. One is what they call the slide
8 technique. When you reach a word that you can't say, like
9 for me b's and d's are a horror, you are supposed to kind
10 of slide into it, you know, like a ball, and, gee, I haven't
11 gotten around to that yet. (Laughter)

12 Another little technique is what they call
13 the bounce, b-b-b-bounce. So if I use some of these
14 techniques, why, just kind of ride along, folks. Thank you.

15 I should also like to comment on the oyster
16 larval tests, how well these people can prognosticate, and
17 their use in the FWPCA report. In considering these oyster
18 larval tests, it is important to distinguish between the
19 validity of the test, per se, and the validity of generally
20 applying results so derived to other species of aquatic
21 life, even to closely related forms. I am here less con-
22 cerned with the test as such than with the applications
23 suggested in the report.

24 The results of the tests with oyster larvae
25 as described in the report show that the normal embryonic

EUGENE P. HAYDU

1
2 development of these larvae are adversely affected by
3 even very low concentrations of SWL. The report goes on
4 to suggest that other forms of aquatic life, some of which
5 are closely related, others not so closely related, are
6 similarly affected. The report does not provide data to
7 support this suggestion, however. It has been proposed
8 that due to its sensitivity and reproducibility the oyster
9 larval test be adopted as a standard test for establish-
10 ing the toxic levels of all suspect pollutants. Such a
11 proposal ignores the general experience of biologists of
12 the great diversity in the sensitivity of various species
13 to environmental change, whether natural or induced. An
14 example of this can be shown by the range of 48-hour
15 median tolerance limit values found for an organophos-
16 phorus insecticide.

17 For shrimp, the median tolerance limit
18 value was 0.0002 parts per million. For fish it was 0.01
19 parts per million. And for the oyster it was 0.3 parts
20 per million. This represents a one thousand five hundred-
21 fold difference in the response of three different species
22 to the same material.

23 In long-term laboratory studies of the
24 oyster-mud flat community which I carried out during the
25 1950's, the productivity of clams from the larval stage

1 EUGENE P. HAYDU

2 was 2 to 6 times greater in the presence of SWL than in
3 the controls. The concentration of SWL in the tests was
4 3 to 5 times greater than those indicated to be harmful
5 to oyster larvae in the FWPCA report.

6 As already mentioned, I am at this particu-
7 lar time less concerned with the oyster larval test as
8 such than with its possible applications. Actually, the
9 concept and use of reference animals is by no means new.
10 Such tests, with very sensitive species or life stages
11 thereof, have proven to be especially useful in screening
12 tests; for example, in establishing the relative toxicities
13 of various substances. Reference animals are also commonly
14 employed to determine preliminarily harmful and beneficial
15 dosages of drugs for human use. The use of animals for
16 these purposes is selective; that is, to those species
17 which most nearly react in the same manner as humans.
18 Indicative as these preliminary tests may be, final con-
19 clusions are ultimately based on similar tests made with
20 appropriate samples of the human population.

21 It may be instructive at this point to refer
22 to the thoughts and suggestions of the National Technical
23 Advisory Committee on Fish, Other Aquatic Life and Wildlife
24 on this matter. After considerable deliberation, the
25 committee suggested certain basic guidelines in their

EUGENE P. HAYDU

1
2 rationale concerned with determining toxicity by the bio-
3 assay technique. Among those most pertinent to this dis-
4 cussion mention should be made of the following:

5 1. "Fish too often are considered as a
6 single species (like rats or people) instead of a multitude
7 of species, many again distinctly and greatly different
8 from other related species. Because of the important
9 species, essential food organisms and water quality will
10 be different in different habitats, a single value or
11 concentration has very little applicability unless
12 appropriate margins of safety are incorporated."

13 2. "Test organisms should be selected on
14 the basis of their economic importance in the area receiving
15 the discharge and their sensitivity or on the basis of
16 their importance in the food web of economically important
17 animals. In the event that organisms meeting these
18 criteria are not suitable or available for the confined
19 conditions of the tests, then substitute animals endemic
20 to the area may be utilized. Appropriate tests must be
21 undertaken to demonstrate the relative sensitivity of
22 economically important species and substitute species to
23 the test material so that meaningful interpretations of
24 the data can be made."

25 For the most part, these guideline commentaries

EUGENE P. HAYDU

1
2 are self-explanatory. It will be noted, however, that
3 emphasis is given to economically important species in
4 the area and to indigenous forms. It is also indicated
5 that if substitute animals are used, their relative sen-
6 sitivities and those of economically important species
7 must be established. Emphasis is also given to the
8 diversity of species and their differing reaction to
9 toxicants and hence to the unapplicability of using a
10 single value or concentration that would be safe for all.

11 Applications of the oyster larval test as
12 suggested in the FWPCA report are hardly valid under these
13 considerations. As a matter of fact, such attempts are
14 contrary to some of the basic recommendations cited above.
15 In this context, it is difficult, for example, to see the
16 relevancy of the oyster larval test to Port Gardner Bay
17 in view of the fact that oysters are neither an economically
18 important species in this area, nor are they indigenous.
19 In fact, there are no oysters here. On the other hand,
20 there are a number of economically important species in
21 Port Gardner Bay which have been studied in the laboratory
22 and in the field to determine the effects of sulfite waste
23 liquor on their productivity. These results are directly
24 applicable to the problem at hand and will be reported
25 upon in some of the later statements.

1 EUGENE P. HAYDU

2 There are other areas in Puget Sound where
3 oysters are grown in the presence of the SWL. It is my
4 understanding that while limited oyster spawning may occur
5 occasionally in these areas, the industry must depend upon
6 seed oysters brought in from other areas to sustain itself.
7 Since the larval stage is of very limited significance in
8 such cases, the oyster larval test can hardly be considered
9 as relevant. It would be much more realistic to devote
10 toxicity studies to the life stages and species which do
11 occur there.

12 Thank you very much.

13 CHAIRMAN STEIN: Thank you, Dr. Haydu.

14 Are there any questions or comments?

15 MR. HARRIS: I have no questions.

16 MR. POSTON: No questions.

17 CHAIRMAN STEIN: I would like to refer back
18 to your first paper, largely your statements on Page 2.
19 You talk about the toxicological characteristics of pulp
20 mill effluents, including sulfite waste liquor. You also
21 talk about the toxicity of kraft wastes and the available
22 evidence--"While similar studies have not been made with
23 sulfite liquors, the available evidence indicates that the
24 toxic components of this waste are also degradable." Then
25 in the last paragraph you stated:

1 EUGENE P. HAYDU

2 "The composition and toxic characteristics
3 of sulfite waste liquor in receiving waters would vary
4 therefore."

5 In other words, as I understand your view,
6 Dr. Haydu, at certain points sulfite waste liquor does have
7 toxic characteristics?

8 MR. HAYDU: It does, yes, sir. It does just
9 like anything else does. For example, natural water.

10 This question was asked me by some other
11 people, some lay people: Is there any poisonous pulp
12 material in the waste? Of course there is, many, many.

13 You have many, many harmful materials in
14 water. Some of these things are essential. However, if
15 they occur in very high concentrations, why, they are harm-
16 ful.

17 CHAIRMAN STEIN: How about their occurring
18 at the point of origin? How about the concentrations of
19 the toxic materials in sulfite waste liquor?

20 MR. HAYDU: You are asking me if the pure
21 sulfite waste liquor is toxic before it has a chance to
22 dilute with receiving water?

23 CHAIRMAN STEIN: Yes.

24 MR. HAYDU: Oh, certainly it would be.

25 CHAIRMAN STEIN: Yes. I think with that,

1 EUGENE P. HAYDU

2 I am always hopeful and optimistic.

3 You know, I think maybe the State and
4 Federal and the industry people are getting closer and
5 closer together all the time, (laughter) because I have
6 never heard an industry spokesman say that yet. This is
7 a really good sign. It is just a question--

8 MR. HAYDU: I am not speaking for industry,
9 sir; I am speaking for myself--

10 CHAIRMAN STEIN: Since the toxic material is
11 degradable, considering the time and distance factor and
12 seeing dilution in operation, as long as we are all agreed
13 that we are starting out with a toxic material, I think we are a
14 lot closer than we were before. This is one thing to be gained
15 from these Conferences.

16 Thank you very much, Dr. Haydu.

17 MR. HARRIS: The next expert in Mr. Benson's
18 group is Dr. English.

19 STATEMENT OF THOMAS SAUNDERS ENGLISH
20 ASSOCIATE PROFESSOR, DEPARTMENT OF OCEANOGRAPHY
21 UNIVERSITY OF WASHINGTON

22 MR. ENGLISH: Mr. Chairman and Conferees.

23 My name is Thomas Saunders English. I am
24 an Associate Professor in the Department of Oceanography,
25 University of Washington. I have been retained by the
Everett Mills Technical Committee to inquire into some

THOMAS SAUNDERS ENGLISH

1
2 aspects of the biology of the waters of Port Gardner and
3 to advise them of my findings and opinions. I am appear-
4 ing today to report some of my observations.

5 I have conducted studies in Port Gardner,
6 near Everett, Washington, since 1962. I have worked to
7 assess populations of bottom fishes, especially the English
8 sole. Reports of my work were submitted to the Washington
9 State Pollution Control Commission in Mount Vernon,
10 Washington, on 9 February 1967.

11 I have followed with interest the field and
12 laboratory studies of my colleagues on the Federal Enforce-
13 ment Project, now a part of the Federal Water Pollution
14 Control Administration. I have been favorably impressed
15 by their professional competence, by their vigor in attack-
16 ing the many facets of the project, and by the substantial
17 collection of data at their headquarters in Portland,
18 Oregon. I am not favorably impressed with the anonymous
19 report of March 1967 that uses the generally sound results
20 of the scientists to reach what seem to me to be unsound
21 conclusions.

22 The Federal report concludes that the
23 English sole population in Port Gardner is subject to
24 extensive damage. Personal observations and the reports
25 of others lead me to a different conclusion. The reported

THOMAS SAUNDERS ENGLISH

1
2 results of my trawling research in Port Gardner, including
3 catch records of the Washington State Department of
4 Fisheries, show that the English sole fishery there is
5 the best and most productive in Puget Sound. At the
6 hearings in Mount Vernon I heard statements from the
7 commercial trawlers who fish for a livelihood in Port
8 Gardner. They reported that the fishing was very good and
9 had never been better. Therefore, I am at a loss to under-
10 stand how there can be extensive damage to the English sole
11 in Port Gardner.

12 The conclusion in the Federal report about
13 the English sole in Port Gardner, which I believe to be
14 totally misleading, is a conjecture based on English sole
15 egg bioassay studies. The studies were carried out by
16 Dr. Harold Berkson of the FWPCA. They were extended by
17 his colleague Marvin Allum. Their work involved holding
18 artificially spawned eggs of the English sole in test
19 solutions of sulfite waste liquor. The SWL was obtained
20 from a mill and diluted over a range of concentrations as
21 determined by PBI measurements. The results of Dr. Berkson
22 show that very high concentrations of SWL can damage
23 artificially spawned English sole eggs under the conditions
24 of his experiments.

25 The Federal report suggests "a critical

THOMAS SAUNDERS ENGLISH

1 threshold exists somewhere around 10 ppm SWL." The report
2 notes that "damage induced at 10 ppm is not significantly
3 increased by augmented concentrations of SWL until approxi-
4 mately 180 ppm SWL. Above this concentration, survival of
5 exposed eggs is hopeless." The suggestion of a critical
6 threshold at 10 ppm SWL is based on statistical treatment
7 of the data. However, the figure which relates the per-
8 centage of eggs inhibited to concentrations of PBI reveals
9 that "significant retardation does not occur until SWL
10 concentrations exceed 180 ppm." The Federal report then
11 recommends that the Everett mills "put into operation appro-
12 priate abatement measures to reduce SWL concentrations
13 in the surface waters to less than 14 ppm." Therefore,
14 the allowable level of SWL in Port Gardner is apparently
15 related to the results of bioassay studies of the English
16 sole egg.
17

18 Since the English sole population in Port
19 Gardner seems to be in very good condition, I have had to
20 wonder how the recommendation in the Federal Report came
21 to differ so widely from my understanding of the situation.
22 Several possibilities can be suggested.

23 1. The English sole eggs used in the bio-
24 assay were of poor quality or were subjected to undue stress.

25 2. The results of the bioassay were somehow

THOMAS SAUNDERS ENGLISH

1
2 misinterpreted.

3 3. The PBI in Port Gardner is not as harm-
4 ful as the SWL from a mill.

5 4. The results of a laboratory bioassay
6 are not a useful guide to conditions in the ocean.

7 It is known that artificially spawned eggs
8 differ from those released into the sea by a female English
9 sole in nature. The natural eggs are more spherical, the
10 shells are clearer and much harder to break. There are
11 evidences that the eggs were subjected to considerable
12 stress under the experimental conditions. About 30 percent
13 of Dr. Berkson's control "...eggs failed to develop into
14 normal fry within ((the)) normal incubation period." Per-
15 haps, therefore, the eggs were of such low quality or the
16 experimental conditions were so rigorous that the eggs
17 were moribund and easily damaged.

18 It seems possible that the results of the
19 bioassay were misinterpreted in some way. The level of
20 SWL at which damage is meaningful even under experimental
21 conditions appears to be between 180 and 420 ppm rather
22 than near 10 ppm. On several occasions I have reared eggs
23 from Port Gardner in order to separate the kinds of eggs
24 present. If the water in which those eggs were taken and
25 reared reflected the average SWL concentrations reported,

THOMAS SAUNDERS ENGLISH

1
2 the results of the bioassay would suggest that the eggs
3 had little chance to survive. I have not been aware of
4 any unexpected difficulty in rearing naturally spawned
5 eggs captured in Port Gardner.

6 My third question was the relationship
7 between PBI and SWL. I am told that PBI measures sub-
8 stances other than those which can be compared to the dis-
9 charge of SWL from a mill. The conclusions of the Federal
10 report might be wrong if the PBI measured in Port Gardner
11 reflects a situation less harmful than similar levels of
12 SWL in the laboratory bioassays.

13 Finally, I attempted to learn in a very
14 crude way whether the results of the laboratory bioassay
15 are a useful guide to conditions in the ocean. The ques-
16 tions I have outlined above led me to suspect that natural
17 fish eggs taken from Port Gardner and held in water with
18 high PBI taken from Port Gardner might survive better than
19 the results of the laboratory bioassay seemed to suggest
20 to the authors of the Federal report. We were unable to
21 get water of high PBI and fish eggs at the same time, so
22 we had to use dilutions of sulfite waste liquor obtained
23 from a mill, in the manner of Dr. Berkson.

24 The simple experiment used 24 fish eggs.
25 Three eggs were selected at random and placed into each

THOMAS SAUNDERS ENGLISH

1
2 of eight containers. One container held control sea water
3 and the others held concentrations of SWL of about 7, 14,
4 28, 55, 110, 220, and 440 ppm. Two of the control eggs
5 hatched. The larvae lived somewhere between 92 and 337
6 hours, then presumably died of starvation. Two eggs hatched
7 from concentrations of 7, 14, 28 and 55 ppm SWL. All of the
8 eggs in 110 ppm SWL died. However, two eggs hatched in
9 220 ppm and two eggs hatched in 440 ppm. Those larvae
10 lived from 192 to 236 hours. There can be many objections
11 to this experiment, and I would probably agree with those
12 objections, but I am now firmly convinced that the con-
13 clusion of the Federal report is wrong in some major way.

14 I now cannot agree that SWL concentrations
15 in the surface waters of Port Gardner must be less than
16 14 ppm to "prevent additional damages and provide minimum
17 protection of these organisms during their most sensitive
18 life stages." The English sole population in Port Gardner
19 does not appear to be suffering from concentrations of SWL.

20 In closing, I repeat that I believe the
21 Federal report has reached unsound conclusions.

22 Thank you, Mr. Chairman.

23 CHAIRMAN STEIN: Thank you, Professor
24 English.

25 Are there any comments or questions?

1 THOMAS SAUNDERS ENGLISH

2 MR. HARRIS: I would like to ask one
3 question. You say, you refer here to the anonymous
4 report of March 1967. Do you mean the Federal Water
5 Pollution Control Administration report?

6 MR. ENGLISH: You are correct, sir.

7 MR. HARRIS: Why did you use the word
8 "anonymous"?

9 MR. ENGLISH: If I cited that report in
10 the bibliography of a scientific paper, I would cite it
11 as anonymous. There is no name of a scientist there that
12 I recognize.

13 MR. HARRIS: Thank you.

14 CHAIRMAN STEIN: Thank you.

15 You know, this is a peculiar use of the
16 word "anonymous". I was going to raise the same ques-
17 tion. As a regulatory officer in the Government, this
18 is one of the problems with which I have been faced. I
19 guess all you fellows know that in a bureaucracy a unani-
20 mous report is accredited to the agencies at the bottom
21 of the cover page. Furthermore, the report was delivered
22 and introduced by Mr. Kari, who was the head of the in-
23 vestigating group.

24 I think the anonymity was disclosed by
25 Dr. English's remark on "Dr. Berkson, extended by his colleague

1 Marvin Allum." I seem to recall Marvin Allum in his
2 anonymous capacity, because the lights were out, was
3 talking to those slides a good portion of the morning.

4 I don't want to dispute you, Doctor, or
5 Professor, that "in the scientific bibliography sense," I
6 don't want to dispute those words, but I do think that both
7 the agencies--and I think on this I can speak for the
8 State and us, because we worked in this together--have a
9 practice of producing the people who are responsible for
10 the reports. And as far as I know in the regulatory or
11 legal sense we make no anonymous reports. As a matter of
12 fact, we find it hard to get hearsay into court.

13 MR. ENGLISH: Well, if you opened the floor
14 to me again I would say, then, I must most respectfully
15 dispute you. If I have been told that we have the white
16 hats and the black hats here today, then in the business
17 I work in this is called the gray literature.

18 I have discussed this matter with the
19 scientists who worked on this project and they disclaim
20 responsibility for the statements in that report. There-
21 fore, I consider it to be an anonymous report.

22 Many reports of a very closely parallel
23 nature are subdivided into sections and the name of the
24 scientist is used with his work. In other words, I under-
25 stand from that name who did the work.

1 CHAIRMAN STEIN: Are there any further
2 comments or questions?

3 We have discussed this with the Conferees.
4 As per announcement this morning, it is past 5 o'clock
5 and we will stand recessed until 9:30 tomorrow morning,
6 when Mr. Harris will resume with his invitees.

7 (ADJOURNMENT)

